

0001

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47
48
49
50

YUKON KUSKOKWIM DELTA SUBSISTENCE
REGIONAL ADVISORY COUNCIL

PUBLIC MEETING

VOLUME I

Yupiit Piciryarait Cultural Center
Bethel, Alaska
October 27, 2022
9:25 a.m.

MEMBERS PRESENT:

- Myron Naneng, Acting Chair
- John Andrew
- Jackie Cleveland
- Norma Evan
- Robert Hoffman
- James Landlord
- Henry Parks
- Phillip Peter
- Alissa Rogers

Regional Council Coordinator, Brooke McDavid

Recorded and transcribed by:

Computer Matrix Court Reporters, LLC
329 F Street, Suite 222
Anchorage, AK 99501
907-227-5312/sahile@gci.net

0002

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47
48
49
50

P R O C E E D I N G S

(Bethel, Alaska - 10/27/2022)

(On record)

MS. MCDAVID: Good morning, everyone. Welcome to the Yukon-Kuskokwim Delta Subsistence Regional Advisory Council meeting. It looks like folks have taken their seats in the room, so we're going to go ahead and get started here.

For folks joining us on the phone, you can find the updated agenda and all the meeting materials in the Federal Subsistence Program website. That internet address is doi.gov/subsistence and then if you click on the regions tab and choose Yukon-Kuskokwim Delta you'll see a link for meeting materials.

For all our folks on the phone if you could please remember to mute your phones when you're not speaking. That would be great. If you don't have a mute button on your phone you can press star, six to mute and star, six again to unmute.

Everyone in the room if you can please remember to sign in on the sheet at the table in the back each day of the meeting so we can have a record of all the attendees. That would be great. Thank you.

Just a housekeeping announcement about public comments. This is a regulatory meeting and the Council will be discussing and deliberating on Federal fisheries proposals. There will be opportunity for public comment on these proposals. If you're here in the room and you would like to give a comment when we get to these proposals, please just raise your hand and we'll have our Chair call on you to comment. If you're on the phone and would like to comment, please just indicate that you'd like to comment by saying Mr. Chair and we'll call on you to provide a comment then.

If you'd like to submit written comments on fisheries proposals, you can do so by either providing me, the Council Coordinator, with a copy if you're here at the meeting or you can email those written comments to subsistence@fws.gov and we do just ask that you have your name and your affiliation

0003

1 and your contact information on those written comments.

2

3

4 There will also be an opportunity to
5 comment at the beginning of each day on non-agenda
6 items, so members of the public or tribal
7 representatives if you'd like to provide a comment on
8 anything that's not on the agenda there will be a
9 chance to do so each morning of the meeting.

9

10 I believe that's all I have. We are
11 missing our Chair Raymond Oney today, so our Vice Chair
12 Myron Naneng is going to be stepping in to be the Chair
13 of the meeting today. I'll turn it over to Myron now.
14 Thank you.

15

16

17 CHAIRMAN NANENG: We'll call the
18 meeting to order and then we'll have the invocation.
19 If everybody can please stand up. Phillip will be
20 giving the invocation.

20

21

(Invocation)

22

23 CHAIRMAN NANENG: Let the record show
24 that the meeting was called to order at 9:25 a.m.
25 Let's go ahead with the roll call.

26

27

MS. MCDAVID: Henry Parks.

28

29

MR. PARKS: Here.

30

31

MS. MCDAVID: Norma Evan.

32

33

(No response)

34

35 MS. MCDAVID: Norma should be joining
36 us. I believe she got weathered out yesterday. John
37 Andrew.

38

39

MR. ANDREW: Here.

40

41

MS. MCDAVID: Thomas Alstrom.

42

43

(No response)

44

45 MS. MCDAVID: Thomas, were you able to
46 call in?

47

48

(No response)

49

50

0004

1 MS. MCDAVID: Thomas wasn't feeling
2 well. He wasn't able to make his flight, but he may
3 try to call in to the meeting later today.

4
5 Jacqueline Cleveland.

6
7 MS. CLEVELAND: Here.

8
9 MS. MCDAVID: James Landlord.

10
11 (No response)

12
13 MS. MCDAVID: James also got weathered
14 out on his flight yesterday and will hopefully be
15 joining us later this morning or after lunch.

16
17 Phillip Peter, Sr.

18
19 MR. PETER, SR.: Here.

20
21 MS. MCDAVID: Alissa Rogers.

22
23 MS. ROGERS: Present.

24
25 MS. MCDAVID: Wasilly Alexie.

26
27 (No response)

28
29 MS. MCDAVID: Unfortunately Was had a
30 death in his family and he is not going to be able to
31 join us at the meeting.

32
33 Ray Oney.

34
35 (No response)

36
37 MS. MCDAVID: Were you able to join us
38 online, Ray?

39
40 (No response)

41
42 MS. MCDAVID: Myron Naneng.

43
44 MR. NANENG: Here.

45
46 MS. MCDAVID: Robert Hoffman.

47
48 MR. HOFFMAN: Here.

49
50

0005

1 MS. MCDAVID: Robert is joining us on
2 the teleconference today. Thank you so much for
3 calling in, Robert.

4
5 MR. HOFFMAN: You're welcome.
6

7 MS. MCDAVID: And Richard Slats.
8 Richard is stuck in Anchorage. He will be coming in
9 around noon today. Currently we have seven Council
10 members present. We do have a quorum.

11
12 CHAIRMAN NANENG: Thank you. Can we
13 quickly go around the room to have the audience quickly
14 introduce themselves. We'll start with the
15 translators.

16
17 SOPHIE: Good morning. I'm Sophia and
18 I'll be your interpreter all day and tomorrow.

19
20 MS. MCDAVID: I'm sorry. If folks
21 could please speak into the microphone when you
22 introduce yourselves.

23
24 SOPHIE: I do not have a microphone.
25 Hello. I'm Sophie (in Yup'ik). Quyana.

26
27 MS. ANDREW: Good morning. Joanne
28 Andrew. (In Yup'ik) I'm the interpreter.

29
30 CHAIRMAN NANENG: I think the service
31 staff would be -- it would be good to know who is from
32 the Fish and Wildlife Service.

33
34 MS. LAVINE: Good morning, Mr. Chair.
35 Members of the Council. My name is Robbin Lavine and
36 I'm the Subsistence Policy Coordinator with OSM and
37 it's really good to see you all. Thanks.

38
39 MS. WESSELS: Good morning, Mr. Chair.
40 Members of the Council. My name Katya Wessels and I'm
41 Counsel Coordination Division Supervisor with Office of
42 Subsistence Management. It is so wonderful that we can
43 meet in person again. Thank you.

44
45 MR. FOLEY: Mr. Chair. Members of the
46 Council. My name is Kevin Foley. I'm a fish biologist
47 with the Office of Subsistence Management. Good
48 morning.

49
50

0006

1 MS. KENNER: Hi. I'm Pippa Kenner and I
2 work with OSM in Anchorage and I'm an anthropologist.
3 Thank you.

4
5 MR. PLANK: Good morning, Mr. Chair.
6 Members of the Council. Tom Plank, wildlife biologist
7 with OSM.

8
9 MS. KLEIN: Good morning, Mr. Chair.
10 Members of the Council. My name is Jill Klein and I
11 work as the Regional Subsistence Coordinator. I'm
12 based in Anchorage at the Regional Office and I also
13 serve as an Interagency Staff Committee Member. Good
14 morning.

15
16 CHAIRMAN NANENG: How about the Bethel
17 staff.

18
19 MR. MOSES: Good morning. I'm Aaron
20 Moses. I'm the Subsistence Resource Specialist at
21 Yukon Delta.

22
23 MR. DAVIS: Good morning. I'm Ed
24 Davis, the Assistant Refuge Manager at Yukon Delta
25 National Wildlife Refuge. Very new. Just got here
26 this week.

27
28 MR. TULIK: (In Yup'ik) Christopher
29 Tulik with the Yukon Delta Refuge.

30
31 MR. DANIELS: Good morning. My name is
32 Bryan Daniels. I'm the waterfowl biologist at Yukon
33 Delta Refuge and I'm also acting deputy manager. Good
34 morning.

35
36 MR. LARSON: Good morning. My name is
37 Paul Larson. I'm the Pathways student working under
38 Bryan Daniels.

39
40 MS. FITKA: Good morning, Councilmen.
41 My name is Serena Fitka. I'm the executive director
42 for the Yukon River Drainage Fishery Association.
43 Thank you for having us.

44
45 MS. MONCRIEFF: Good morning. My name
46 is Catherine Moncrieff and I'm the Staff Anthropologist
47 at the Yukon River Drainage Fisheries Association. I'm
48 very happy to be here today.

49
50

0007

1 MS. CANFIELD: Good morning. My name
2 is Gabe Canfield. I am the project coordinator at
3 Yukon River Drainage Fisheries Association. Thanks for
4 having me.

5
6 MS. SCHOMOGYI: My name is Terese
7 Schomogyi. I'm the programs manager at the Kuskokwim
8 River Inter-Tribal Fish Commission. Thank you.

9
10 CHAIRMAN NANENG: Anybody else?

11
12 MR. ADERMAN: This is Andy Aderman,
13 wildlife biologist with the Togiak Refuge in
14 Dillingham. Good morning.

15
16 KWETHLUK, INC: Good morning. This is
17 Kwethluk, Inc. We have Nick Ayapan, Senka Guy, Anthony
18 Olick and George Guy with Kwethluk, Inc. Good morning.

19
20 CHAIRMAN NANENG: Good morning.
21 Anybody else online?

22
23 MS. DEBENHAM: Good morning. Rosalie
24 Debenham with the Bureau of Indian Affairs. Good
25 morning.

26
27 MR. HARRIS: Good morning. This is
28 Frank Harris, U.S. Fish and Wildlife Service, Kenai
29 Fisheries Office.

30
31 CHAIRMAN NANENG: Anybody else online?

32
33 MR. GILLIKIN: Good morning. This is
34 Dan Gillikin with the Native Village of Napaimute. I'm
35 the environmental director.

36
37 MR. GUSSE: Good morning. This is
38 Walker Gusse with the Bureau of Land Management out of
39 Anchorage.

40
41 Mr. CHYTHLOOK: Good morning. This is
42 John Chythlook with the Alaska Department of Fish and
43 Game, Sport Fish Division.

44
45 MS. STUBY: Good morning. This is Lisa
46 Stuby of the Alaska Department of Fish and Game, Sport
47 Fish Division.

48
49 MS. GLEASON: Good morning. This is
50

0008

1 Christy Gleason, Alaska Department of Fish and Game.
2 I'm the Yukon River Fall Season Manager.

3
4 MS. JALLEN: Good morning. This is
5 Deena Jallen. Also with the Alaska Department of Fish
6 and Game. The Yukon River Summer Season Manager.

7
8 MR. RANSBURY: Good morning. This is
9 Shane Ransbury with Alaska Department of Fish and Game.
10 I'm the Fall Season Assistant Manager for the Yukon.

11
12 MR. MCKEE: Good morning. This is
13 Chris McKee, Statewide Subsistence Coordinator for the
14 Bureau of Land Management and Interagency Staff
15 Committee member out of Anchorage.

16
17 MR. GRAHAM: Good morning. This is
18 Cory Graham with OSM.

19
20 CHAIRMAN NANENG: Anybody else online.

21
22 MS. STRAM: Good morning. This is
23 Diana Stram with the North Pacific Fishery Management
24 Council.

25
26 MS. POLLOCK: Good morning. This is
27 Nikki Pollock with the Kuskokwim River Inter-Tribal
28 Fish Commission. I'm the new operations manager.

29
30 MS. PATTON: Good morning, everyone.
31 This is Eva Patton now with the National Park Service
32 Subsistence Program in Anchorage and ISC member.
33 Really wonderful to hear all of your voices and
34 wonderful to know you're meeting in person. I wish I
35 could be there with you. Take care. Good morning.

36
37 MR. SMITH: Good morning. This is Nick
38 Smith with Alaska Department of Fish and Game.

39
40 MR. SUNDOV: Good morning. This is Tim
41 Sundov, fish biologist in Glennallen with BLM.

42
43 MR. THERCHIK: Good morning. It's
44 David Therchik, Refuge Information Technician, Y-K
45 Delta.

46
47 MS. DECKER: Good morning. This is Sam
48 Decker with Alaska Department of Fish and Game.

49
50

0009

1 CHAIRMAN NANENG: Anybody else online.

2

3 MS. JOHNSON: Good morning. This is

4 Ashley Johnson with AVCP in Bethel Natural Resources

5 Department.

6

7 CHAIRMAN NANENG: Don't be shy. We

8 can't see you. So introduce yourself if you're online.

9

10 (No comments)

11

12 CHAIRMAN NANENG: Okay. If that's

13 everyone online, let's introduce the public that's here

14 in Bethel.

15

16 MR. MAGEL: Good morning. My name is

17 Andrew Magel. I'm the fisheries technician at the

18 Kuskokwim River Inter-Tribal Fish Commission. Thank

19 you.

20

21 MR. ANDREW: Good morning, Mr.

22 Chairman. (In Yup'ik) I was, like everybody else,

23 looking on FB when you guys called. My Yup'ik name is

24 (in Yup'ik). I'm originally from the Yukon River, but

25 I live here in Bethel. Timothy Andrew is my taxpayer

26 name. I'm glad to be here participating. It's been a

27 long time.

28

29 CHAIRMAN NANENG: Quyana. Anybody from

30 the public online.

31

32 (No comments)

33

34 CHAIRMAN NANENG: I know there's one in

35 the corner that's -- oh, Jeff, do you want to introduce

36 yourself?

37

38 MR. SANDERS: Do you want me to?

39

40 CHAIRMAN NANENG: Yes. You're public.

41

42 MR. SANDERS: Jeff Sanders, long time

43 Bethel resident and also have an extensive relationship

44 with Lower Yukon through family and fishing.

45

46 CHAIRMAN NANENG: Thanks, Jeff.

47 Ambrose, do you want to introduce yourself.

48

49 MR. AGUCHAK: Ambrose Aguchak from

50

0010

1 Bethel.

2

3

CHAIRMAN NANENG: Quyana, Ambrose.

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

Bethel.

CHAIRMAN NANENG: Quyana, Ambrose. Thanks everyone for introducing themselves. I'd like to welcome everyone for face-to-face meeting after the last couple of years. It seems like every organization that's meeting nowadays are saying thank you for meeting in person so that we can discuss some of the issues that are affecting us every day in lives and hopefully plan a future for our families and our kids in the future.

So I really appreciate everyone having introduced themselves and the different departments, State departments as well as Federal departments that are working on this issue, the livelihood of our people in the Y-K Delta. I know it affects other concerns statewide.

So with that we'll go on to agenda item number 5, the review of the agenda and the adoption.

MS. MCDAVID: Mr. Chair. Council members. There is an updated copy of the agenda. It should have been at your seat. Does everyone have a copy? It has a little yellow at the top with the date on it. If you all want to look that over there. There was only one minor change from the agenda that was in your meeting books and that was the addition of agenda item number 11(j) to elect a Council member to represent the Y-K Delta RAC on the State of Alaska Wood Bison Planning Team.

So that was just one thing that we realized we needed to add as an action item after the original agenda had been sent out. Thank you.

CHAIRMAN NANENG: Thank you. (In Yup'ik) Are there any additions to the agenda that might be of importance to our meeting today? I know that addition plus there's also a possibility that there may be something that we might need to add to discuss on the agenda in the next couple of days.

I'll give everyone an opportunity to take a look at it and if there's no additions, then we'll move to adopt the agenda.

(Pause)

0011

1 MR. PETER, SR.: Mr. Chairman. I'd
2 like to make a motion to accept this agenda.

3

4 CHAIRMAN NANENG: Motion made by
5 Phillip Peter, Sr. to adopt the agenda. Is there a
6 second.

7

8 MR. ANDREW: Second.

9

10 CHAIRMAN NANENG: Seconded by John
11 Andrew. Any further discussion on the motion.

12

13 MR. PETER, SR.: Question.

14

15 CHAIRMAN NANENG: The question has been
16 called. All in favor say aye.

17

18 IN UNISON: Aye.

19

20 CHAIRMAN NANENG: Those opposed say no.

21

22 (No opposing votes)

23

24 CHAIRMAN NANENG: Motion carried. We
25 do have an agenda. Item number 6.

26

27 MS. MCDAVID: Thank you, Madame Chair.
28 Council members, you can find the copy of the meeting
29 minutes from your winter meetings starting on Page 5 of
30 your meeting books.

31

32 MS. ROGERS: Mr. Chair, I'd like to
33 make a correction.

34

35 CHAIRMAN NANENG: Go ahead, Alissa.

36

37 MS. ROGERS: Thank you, Mr. Chair.
38 Through the Chair. On Page 9 John Hanson is spelled
39 H-A-N-S-O-N, not H-A-N-S-E-N. John Hanson,
40 H-A-N-S-O-N. Thank you, Mr. Chair.

41

42 CHAIRMAN NANENG: Quyana. Any other
43 additions or corrections on the minutes.

44

45 (No comments)

46

47 CHAIRMAN NANENG: If not, entertain the
48 motion to accept the minutes with the correction.

49

50

0012

1 MR. PETER, SR.: Mr. Chair, I so move
2 to accept the minutes.

3
4 CHAIRMAN NANENG: Motion made by
5 Phillip Peter. Is there a second?

6
7 MR. ANDREW: Second.

8
9 CHAIRMAN NANENG: Seconded by John
10 Andrew. All in favor say aye.

11
12 IN UNISON: Aye.

13
14 CHAIRMAN NANENG: Those opposed say no.

15
16 (No opposing votes)

17
18 CHAIRMAN NANENG: With that, thank you.
19 The minutes are adopted from the previous meeting.
20 We're going to the reports of Council members. We'll
21 start with those online. Robert Hoffman, can you go
22 ahead and give your Council Member report.

23
24 MR. HOFFMAN: Mr. Chairman, thank you.
25 A report on the past meeting? I didn't understand the
26 question.

27
28 MS. MCDAVID: Council Member Hoffman,
29 right now is your opportunity if you want to share
30 anything with the Council and those in attendance about
31 subsistence activities in your region since the past
32 meeting or any comments and concerns that you might
33 have that you want to bring to the Council's attention.

34
35 Thank you.

36
37 MR. HOFFMAN: I'm just pleased that
38 we're continuing our discussions on assisting the
39 problems of our region. I really appreciate having
40 these meetings for the future and I hope they continue
41 because the problems are so serious in our region that
42 we're having with, you might say, subsistence
43 activities that carry us on through the winter months.
44 So I really appreciate that we continue to try to
45 assist the problem. I'm very, very proud of that.

46
47 Thank you very much.

48
49 CHAIRMAN NANENG: Quyana, Robert. Any
50

0013

1 Council Member online.

2

3

(No comments)

4

5

6

CHAIRMAN NANENG: Since we don't have anyone online we'll go ahead to Henry to give a report.

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

The second thing I want to say good morning to all the Council Members, Federal agencies, the State agencies and all those on teleconference. I want to say a big thank you to our new coordinator Brooke for preparing this very important meeting.

28

29

30

31

32

33

We all know that we've been impacted by this pandemic for over two years, three years now maybe and this is my first in-person meeting, so I'm kind of very excited to be at this meeting with my Council Members here.

34

35

36

37

38

39

40

41

So that's why I'm -- so anyways from the last meeting that was in March we had long daylight hours in the month of March, so I usually go out and hunt ptarmigan because we had enough snow back home and we had good ptarmigan this year. Those previous past years we didn't see any ptarmigans anymore, but now they're coming back, which is good.

42

43

44

45

46

47

48

49

50

Now I did some other subsistence hunting. Rabbit, but not beavers. I went out to Yukon treeline to get (in Yup'ik) steam bath wood and when the days got longer I went out to the mouth of Dawson to manaq, ice fishing, pikes. I'm not the only person down there. Sometimes there's a lot of people down there manaq, ice fishing pikes.

0014

1 So when the waterfowl started to arrive
2 there were plenty again this year, but hardly any snow
3 geese again. I don't know why, but there were a lot of
4 waterfowl, cacklers, geese, swans, cranes. I went out
5 maybe a couple times and had fresh birds. So when the
6 ice got melted I went out to Baird Inlet. That's in
7 Nelson Island area. It's pretty far from my place.

8
9 We had to go out and spend a few nights
10 over there camping, spring camping. Take my family
11 members along. Gathered eggs, seagull eggs, because we
12 like seagull eggs. They're not like chicken eggs, but
13 they're really good eggs. Seagull eggs. So we had
14 enough, came back, shared our eggs with our immediate
15 family members, cousins.

16
17 So when the salmon arrived I want to
18 quickly say thank you to the Federal agencies, State
19 agencies for giving us an opportunity to fish again
20 this past summer. So we had a good fishing season. To
21 me it was a fish -- a really good fishing season, but
22 that first opener was not really good, but the second
23 opener was really good. It was really good. The kings
24 were at their peak on that second opener.

25
26 I want to quickly say and make a
27 recommendation to the Federal agencies next time,
28 hopefully, if it's God's will, next year, if we're
29 going to be fishing again, please don't open it on
30 Sundays. The reason why I bring it up is because we
31 respect Sundays. It's called a Sabbath. A Sabbath
32 day. We have to rest on that day. Our ancestors
33 respected that day. One day. That's Sunday. We have
34 to go to church and rest on that day.

35
36 Also I want to add please don't open it
37 at 6:00 a.m. It's a little too early for us.
38 Especially for us who are living up in the tundra
39 villages area because it's a long trip going downriver
40 by boat. It's over 50 miles to reach our fishing
41 grounds down below mouth of Johnson. So 6:00 a.m. is a
42 little too early for me. Not only for me, to other
43 folks too. So 9:00 a.m. would be the best time. So
44 please don't forget that.

45
46 I highly recommend to the State --
47 Federal and State agencies if you guys are going to
48 give us an opening by next year, please open it at 9:00
49 a.m., eastern 6:00 a.m., because it's a long trip from
50

0015

1 my village. Those three villages from my area.

2

3

4 Anyway, we did catch a lot of -- to me,
5 I had a lot of kings this year. Reds. But chums were
6 not very much again this past summer. So we had really
7 good fishing season again this year, but I feel really
8 sorry for the Yukon people because they were suffering
9 again from catching salmons again this year.

9

10 So anyway we had a good season like I
11 said and the weather was really good and our fish died
12 out really good, smoke them, and we had enough salted
13 salmon. Sulunaqs. We called them sulunaqs. Even
14 half-dried salmons. They're all stored in our freezer
15 ready to cook them later on down the road.

16

17 Anyways we had a good summer. The
18 plants of the earth were there again. Fresh fruit,
19 salmon berries. A few blackberries this year due to
20 the weather. Blueberries. But we had a lot of red
21 berries. In our area we had a lot of whitefish this
22 year back in my hometown because we have a lot of
23 lakes, rivers back home in my area. So again this year
24 we had good fishing whitefish. Got some whitefish.
25 Another fish pikes and the lush.

26

27 I think that's about it, but I know I
28 have forgotten some of my reports. I would like to
29 make a comment, Mr. Chair, besides my report here. I'm
30 going to make an example of the farmers. You know,
31 there's people who make farms, for example, fresh
32 produce or even cattle. These people they have to keep
33 an eye on their plants or cattle in order for them to
34 grow or succeed. That's who they are. They're
35 farmers. We call them farmers.

36

37 Now for us the land, the sea, the
38 river. It's like our farm. Meaning if they're not
39 being taken care of, they will extinct. So we have to
40 somewhat keep an eye on salmon returns, waterfowl
41 returns and other mammals. Sea mammals or land
42 animals. Because if they're not properly taken care of
43 they will extinct.

44

45 My point here is about salmon returns.
46 Just making an example of like farming. Then for us
47 Natives, there's over 55 under AVCP and every village,
48 every household doesn't have a job back home. So since
49 we're like left, we're not living in the big cities, we
50

0016

1 live off from the land, subsistence way of life.
2 That's our cultural way of life because we don't --
3 like I said, every household under AVCP, there's over
4 50 villages. They don't have jobs. So we rely on
5 subsistence way of life.

6
7 So other races they live off livelihood
8 ways of life, meaning they work and get groceries from
9 the store, pay their expenses and whatnot, but for us
10 Natives we're not like them. We don't have access,
11 like road access in our villages, only boardwalks, and
12 we have to have especially salmon on our table to feed
13 our family members and our guests.

14
15 Right now we all know the Yukon people
16 suffered again from salmon fishing, so I know that they
17 don't have much, probably few fish in their freezer
18 right now. Like I said, we always catch our shares --
19 or our catches, our catches to our relatives, cousins
20 during potlucks or church gatherings. So that's who we
21 are is Natives, as Yup'ik people, Native people. We
22 always have to catch our catches.

23
24 So right now I know some they don't
25 have salmon in their freezers. They will invite some
26 guests, but maybe they will ask you got no dry fish.
27 That's our number one social food, salmon. Whether
28 they're dry fish, whether they're sulunaqs, half dried.

29
30 I think that's about it, Mr. Chair.
31 Quyana.

32
33 CHAIRMAN NANENG: Quyana, Henry. Then
34 we'll go next to John.

35
36 MR. ANDREW: Thank you, Mr. Chairman.
37 Quyana. This is real nice to see people instead of
38 talking on the phone and figure out who they are, where
39 they're from. It's been a long two years since we met
40 in person like this. Nice to see all the folks in
41 here. I'm pretty happy even though some of our members
42 didn't make it.

43
44 Again, my name is John Andrew. In
45 Yup'ik they call me (Yup'ik names). Those are my
46 grandfather's and his brother's name. I'm a longtime
47 fisherman, hunter, trapper and subsistence gatherer out
48 here in my area. But this past -- starting from the
49 spring our village up there and the four villages that
50

0017

1 we all speak of on and off on fisheries issues.

2

3 This year we have such a late opening
4 that some of us had to go back into the lakes to go
5 after whitefish and pike. It's the first time I had to
6 fish for whitefish and pike all the way into June. I
7 had to share with the village. At least some
8 households that don't have their own boats and motors
9 to go out with or their setnets don't work.

10

11 In June we did not -- I did not go for
12 setnet openings because I was hoping for -- waiting for
13 driftnet openings because it's better to go for me --
14 it's better to go after fresh fish. Live fresh fish.
15 I don't like to see dead fish in my setnets. On June
16 19 there was an opening. They said that was a good
17 day, but I was handicapped. I had injured myself. I
18 wasn't able to go. I told my family that I'll wait for
19 silvers.

20

21 On July 3 opening I had a real good day
22 on that setnet day. I had maybe 82 in the morning about
23 three hours and I wanted to pull out my net there. One
24 of my grand-nephews said I'll fish the rest of the day
25 for our other relatives. I was pretty happy with that.

26

27 After that we had to wait for silver
28 season because we were hoping that the Department would
29 give us an opening for silvers. Because when we don't
30 get enough kings and reds, we usually make it up with
31 silvers or cohos off the river, but we didn't have any.

32

33 Come silver time the Department closed
34 the whole river all the way from the mouth to upriver
35 and -- all the way to upriver. It was a disaster right
36 there. The fish were jumping for a whole three or four
37 weeks. We weren't allowed to fish for them. That
38 really hurted a lot of our families at the villages.

39

40 When we'd meet with the other four
41 villages, we talked about the Area M fisheries. Try to
42 limit -- put a limitation or ask them to put limits on
43 salmon fisheries down in Area M trawling driftnet
44 openers down there. They catch most of our fish before
45 they get to our area in the Yukon and Norton Sound.

46

47 The Department has records starting
48 back from way back prior to 1980s, the harvest records
49 down there. We asked for limits or restrictions on the

50

0018

1 fisheries. They always say no, no. We need more study
2 or more research on it. They're not telling us the
3 truth. You know they have records already.

4
5 The other one was the Bering Sea trawl
6 fisheries that are intercepting our immature salmon.
7 They catch them by the hundreds of thousands. Even
8 some years by half a million. Chums and the kings.
9 Now they're bycatch.

10
11 A few years back I read a report from
12 Sports & Field by a guy named Shane Mahoney. This is
13 all fisheries. There's a waste of at least 35 percent
14 of all salmon catches or another species because some
15 of them are not their targeted species or the wrong
16 size or they just rotted before they work on them.
17 It's a total waste.

18
19 Our people around here when they fish,
20 they take all the fish back home. Take them and save
21 some for the families and neighbors and elders and
22 people that want them. We've been asking for
23 restrictions and limitations on False Pass and Bering
24 Sea since the 1980s. To this day they never -- it
25 never has become a reality.

26
27 Some guy -- some fisherman down from
28 Anchorage area he sat at three different Councils. We
29 could have another council for the Bering Sea Fishery.
30 Northwest Pacific Fisheries Management Council. I
31 think -- I believe that probably ends up down on the
32 Aleutian Chain, not at the Bering Sea side. It's
33 something we really need to look into because the
34 majority of the Northwest Pacific Management Council
35 are not from our local area. They're talking about
36 putting only two people on that seine and they're just
37 a minority and they'll be powerless.

38
39 I could go on, but I have to thank Mr.
40 Henry Parks for taking away what I had to say earlier.
41 Saved me a lot of air time. Thank you.

42
43 (Laughter)

44
45 CHAIRMAN NANENG: Quyana, John.
46 Alissa.

47
48 MS. ROGERS: Quyana, Mr. Chair.
49 Through the Chair. Good morning and welcome to the Y-K
50

0019

1 RAC meeting. It is so good to see all your faces. My
2 heart is filled with so much joy right now. It's so
3 good to see you all again. I'm Anguksuar Qiuran,
4 Alissa Nadine Rogers. The daughter of Allen Joseph and
5 Marita Hanson, granddaughter of John and Alice Hanson
6 of Alakanuk, Fred Qiuran Cyril Lincoln Joseph and
7 Bridget Ala Joseph of Hooper Bay.

8

9 I currently am sitting on 23 other
10 tribal entities, councils, committees, State agencies
11 and 13 of them I seat as an official representative of
12 them. I do have to declare that I do work for the
13 State of Alaska, yet I will not be representing them
14 here at this meeting.

15

16 For my report I'm kind of a little bit
17 all over the place because I was trying to like compile
18 it together, but thank you, Mr. Parks. You said a lot
19 of what I needed to say.

20

21 For the smelts this year they were
22 pretty plenty. They were nice and big compared to
23 previous years, but not as much as in worms as there
24 was previously. In the past three years there was a
25 bunch of worms in the meat, so you had to really really
26 cook your smelts really good or make sure they would
27 dry them and then heat them in the oven. So smelts
28 were really good for us this year. Which saved us a
29 lot because we didn't get very much this year.

30

31 Smelts and bird hunting is pretty much
32 all I got in my freezer right now. We didn't go salmon
33 fishing because it didn't work with our schedule. We
34 had motor trouble. We couldn't go out. We had net
35 trouble. And we couldn't go moose hunting either. We
36 attempted to go a couple times, but it just didn't line
37 up with us this year.

38

39 Bird hunting. We were worried about
40 the bird flu, but it wasn't as bad as we were
41 anticipating it to be, but we definitely took a lot
42 into concern.

43

44 This year there were a lot of baby
45 ducks out there this year. Not so much other ones, but
46 there was a lot of baby ducks out there. I felt like
47 the incoming bird migration was a lot smaller, but the
48 outgoing bird migration was way bigger this year.

49

50

0020

1 Trapping for us was a good year this
2 year. We did pretty good. It held us afloat. During
3 egg hunting season was pretty good this year and lots
4 and lots of greens. There was lots of kapuukaq. There
5 was lots of butterheads, fiddleheads. There was -- we
6 were a little late on the fiddleheads this year, but
7 there was quite a bit of greens this year, which we
8 were really thankful for. They were very welcoming
9 compared to previous years.

10

11 For the summertime fishing was hard.
12 Fishing was hard on our young people. They see how we
13 react. They see how we take upon these regulations and
14 how we have to live with them and yet we're still
15 trying to teach them our traditional values and trying
16 to teach them who we are and that it's a part of us and
17 who we are trying to be with these regulations and new
18 things that we have to abide by.

19

20 After meeting with a group of young
21 people during the ONC Science Camp, we took into heart
22 a lot of discussion items in regards to what they see
23 because they're the ones that see what's happening out
24 there. They observe, they learn and a lot of them are
25 heartbroken. They were disappointed. A lot of them
26 you could see it on their face.

27

28 They saw the pain in their parents and
29 their family members who go hunting and fishing and
30 aren't able to because if they're not able to go
31 hunting and fishing, those family members of theirs
32 revert to alcohol and drugs and it affects their homes,
33 it affects their families and it hurts them as kids
34 because they're seeing something completely different
35 than what they're normally seeing and what they're
36 observing.

37

38 So if they don't have their core
39 ability to go subsistence hunting and fishing, they're
40 having to sit at home and watch their families fall
41 apart. They can tell how we respond and act. But one
42 of the things that they wanted to bring forth -- we had
43 this huge, giant whiteboards and we were scribbling all
44 over them, but I told them we needed three main -- what
45 are their three main concerns that they want to bring
46 to the table.

47

48 One of them, they're scared of Donlin
49 Gold. They're scared of what is going to happen to
50

0021

1 them and their already troubled families. They feel
2 like no one is out there to represent them and their
3 future and what they want. They want a life that we
4 have, that we lived even prior to regulations. They
5 want the ability to walk out their door, go hunting and
6 fishing without having to be sheltered, put in place,
7 restricted.

8

9

10 The second thing that they wanted was
11 to change the regulation in the fisheries. They wanted
12 to extend the second half of the fisheries and reduce
13 the front end of the fisheries so that it gives
14 families more time because when that first fish gets
15 here and the ability to go fishing they want fresh
16 fish. They don't have fresh fish because we've been
17 heavily restricted these past years and now they want
18 fresh fish and the ability just to have fresh fish on
19 the table is something they crave for. Something they
20 miss. Something that builds their ability to get
21 excited for the summer.

21

22

23 The third thing that they wanted to
24 bring to the table was reducing the amount of
25 regulations that are put forth on them and on their
26 families and opening it up, giving it a little relaxing
27 room for them to go out hunting and fishing because
28 they feel so regulated right now. They can't go
29 caribou hunting. They can't go ptarmigan hunting.
30 They can't go fishing for salmon like they used to.
31 They want these restrictions to lift so that they can
32 experience them while they're young, while they're
33 still learning and not have to wait until they're 30,
34 40 years old to actually be able to go out.

34

35

36 If we're talking about fishing, kings
37 and chums and coho were so bad this year. The first
38 reported king that was reported to me was on May 26th.
39 I got a picture someone sent me and said the kings are
40 here, the kings are here. And they ran -- kings ran
41 this year all the way through until September 6th. The
42 last picture that I got from someone who caught a king
43 salmon was September 6th.

43

44

45 Usually my family doesn't go king
46 fishing because ever since 2005 I've given up my rights
47 to go fishing for kings because I believe my elders
48 need it more than I do. It's a part of my diet, but
49 it's more a part of their diet than it is mine. They
50 need to eat what they're used to eating so that they

50

0022

1 can reduce their health issues. If it means me giving
2 up my portion to save theirs, then I will do that.

3

4

5 For moose hunting this year around the
6 Kuskokwim area there was lots of moose this year. More
7 than last year or previous years, but a lot of them are
8 females and a lot of them are starting to have twinning
9 rates. So we see two or three baby moose with a
10 mother, which is great for our season because that
11 means that they can start lifting restrictions here on
12 moose hunting.

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

51

52

53

54

55

56

57

58

59

60

61

62

63

64

Our garden did pretty good this year. They were pretty big and decent. The only issue is that we had three hard days of hard freeze, which we had to start our garden over twice. We went from 84 degrees at its hottest during the day to -36 degrees overnight, which killed our plants. We lost it twice and it happened three times this summer where we woke up and it was nothing but pure ice. Everything in the greenhouse had survived those three days, but we definitely had to restart all our plants over twice, which pushed our season back by at least a month.

There was lots of ants this year. A lot of dragonflies and a lot of caterpillars than previous years. I don't know why, but this year I kept having dragonflies land on me, so that's how come I feel like there's more dragonflies.

Berries were pretty good this year. There wasn't as much blueberries, but if you knew where to look and if you knew how blueberries survive during our weathers and you know where to find them, they were really big. We had lots of salmonberries this year. They actually did pretty good. They were a little bit big and some of them already had pre-ripened before the ripening season ever started. So that first week of July we went out and there was -- there was pretty big ones out there.

I had a lot of people call me and report about bear activity. There was a lot of troublesome bears that were out there. Bears breaking into fish camps. Even bears going into people's houses. That's how bad it was. A family had to jump out a window because a bear came through their front door.

0023

1 That tells me that there isn't as much
2 fish up in the spawning grounds being able to sustain
3 those bears, so they're migrating down to our area
4 where they know there's human activity, there's fish
5 available and people are putting up fish. So knowing
6 that there's an increase of bear activity in our area
7 is a pre-warning to me that we're not getting enough
8 fish up to the spawning ground.

9
10 I did want to mention also that my
11 grandpa told me -- and the reason why I don't forget
12 this is because our graveyard had sunk and became a
13 swampland and disappeared. It turned into a lake and
14 my grandpa didn't want to be buried in the ground
15 because he didn't want to sink and be underwater when
16 his body is laying at rest.

17
18 This year we've had -- it's happening
19 again. He said be -- he pre-warned me that it's going
20 to happen. The land is going to change, it's going to
21 shift. It may not be now, but it will be coming and
22 don't forget. A lot of the land around our area
23 including the Lower Yukon especially where a majority
24 of those lakes are out there the lands are sinking and
25 becoming swamp lands again and the highlands were lands
26 that were currently sunk and swamped are now becoming
27 hills and mountainous areas.

28
29 So be careful when you're going out
30 hunting, that the lands are sinking. We don't know how
31 deep it is under the tundra, but you can easily get
32 mucked in those swamp lands.

33
34 Thank you, Mr. Chair. I'm done.

35
36 CHAIRMAN NANENG: Quyana, Alissa.
37 We'll move on to Jackie.

38
39 MS. CLEVELAND: (In Yup'ik).

40
41 MS. EVAN: Good morning, Chair. This
42 is Norma Evans. My flight was cancelled, but I am on
43 now.

44
45 CHAIRMAN NANENG: Good morning, Norma.
46 We heard you. Okay, Jackie, proceed.

47
48 MS. CLEVELAND: Hi, Norma. I wish you
49 were here. (In Yup'ik) Hi, my name is Jackie Cleveland
50

0024

1 in English and in Yup'ik I'm Nalikutaar. I live in
2 Quinhagak currently where I live with my fiance and my
3 dog. I work for Alaska Venture Fund as a project
4 manager for a project called Iowa Story House which
5 will launch in February. I also work for Togiak
6 National Wildlife Refuge as an RIT. I think it's my
7 second year there.

8
9 Some other positions. I'm the vice
10 president for the Native Village of Quinhagak Tribal
11 Council. Vice chair for the Central Bering Sea
12 Advisory Council.

13
14 I'll go into the fishing part. When I
15 was reading last year's minutes on my part it's not too
16 different from last year's report. One thing that's
17 still the same is that Quinhagak has no existing
18 monitoring or data collecting systems in place for
19 salmon fishery besides the aerial survey, which doesn't
20 include counting chum salmon.

21
22 This year the aerial survey was I think
23 inconsistent because it was earlier than usually done
24 before. The one salmon survey, aerial survey that was
25 done on the Kanektok River this year was done earlier
26 than -- like a month earlier than previous years I
27 believe. So the numbers showed -- I don't know the
28 exact numbers, but the kings met the lower escapement
29 goals. The reds, of course, exceeded the escapement
30 goal. There's no count on chum. Then there's no count
31 on silvers either.

32
33 Based off local traditional knowledge
34 though, the silvers were there, but they weren't as
35 plenty as before, but we still had enough to meet our
36 needs. But I just wanted to mention that our silver
37 numbers are not as low numbers shown on this river.

38
39 Our subsistence fishery did okay this
40 year where most met their needs overall. We did
41 however have a scare about the chum not showing up,
42 which they did finally show up at the end of July. But
43 there's still no count on them either. They did show
44 up and they did show up in bigger numbers than the year
45 before.
46 The kings are mostly jacks. In a given fish rack, I
47 would say the ratio is now 60 percent reds and 40 kings
48 for this past year because the chums didn't show up
49 until later.

50

1 Kanektok was open to sport fishing all
2 season, but District W4 did not have a commercial
3 fishery season due to having no buyers. We continued
4 to observe more pike numbers taking over our trout
5 species. We're still able to get trout when we can,
6 but we're noticing a lot more chum -- or, sorry, pike.
7 But we're told when we do bring up as an issue that it
8 has to be more numbers than that in order to do
9 something. Then if they were to do something, they'd
10 have to get rid of 70 percent of the population to make
11 a difference and that would be a challenge.

12
13 I'll move on to the moose hunting
14 season. It was better than last year. We did ask for
15 an extension, but we didn't get it, but people still --
16 I think we had more tags still than -- way more tags
17 still than last year. I myself filled my tag on (in
18 Yup'ik) which I had no idea was going on because on the
19 other side of the mountains it was sunny. It was still
20 windy but sunny.

21
22 And then about the third day hunting I
23 realized we hadn't heard a boat in three days and
24 that's when I realized something was probably happening
25 at home. So it was really scary going home with mixed
26 feelings with my moose. Being happy with my moose and
27 not knowing if my village was going to be there. But
28 luckily we were at the (in Yup'ik) and our winds got up
29 to about 45 miles an hour. Some erosion happened, but
30 that's ongoing, the erosion part.

31
32 Some of the other animals and critters
33 that we eat are rabbits, ptarmigan, seal, walrus,
34 beluga, waterfowl, waterfowl eggs. We're known for
35 having a big variety of medicinal and edible plants,
36 which we had a good year of those, but we had no
37 berries this year. People are saying it's because we
38 didn't have much snow. And then it got really hot in
39 May, which kind of fried some of the growth there. I
40 guess when I get back there's still trout to be
41 harvested and also mouse food.

42
43 I wanted to touch base a little bit
44 about -- going back to the climate change. So we
45 continued to face the erosion on our rivers and the
46 coast. Actually it washed a lot of our archeological
47 sites, but not the whole village. We were able to
48 retrieve some artifacts.

49
50

0026

1 Permafrost melt is putting a lot of
2 infrastructure at risk at home, making many buildings
3 unlevel and unsafe to even be in. Hunting and fishing
4 patterns are changing of course. For instance the
5 seals seem to be further out. Hunters have to risk
6 their lives to go further out into the Bering Sea to
7 get the seals. Then there's so much freshwater mix
8 that I notice they sink faster with the freshwater mix.

9
10 I could go on but I think that's good.
11 Okay. That's it for now.

12
13 CHAIRMAN NANENG: Quyana, Jackie.
14 Phillip.

15
16 MR. PETER, SR.: Good morning. My name
17 is Phillip Peter from Akiachak. I'm on the Federal
18 Board for -- this is my second term on the Federal
19 Advisory Board. I'd like to make a short report.

20
21 I'm a subsistence fisherman. I used to
22 be a commercial fisherman. Now I'm concentrating on
23 subsistence from the beginning of crash on chinook and
24 chums.

25
26 I want to talk a little bit about what
27 my elders used to talk to me. We had a big catch in
28 the '90s or '80s or '90s on chum. When making a report
29 me and my cousin we make a record on the chum on
30 commercial fishing. I never forget what my uncle tell
31 me. He talked to us really seriously and truth. Now
32 you guys are happy and laughing. Laughing guys will
33 over on chums. Watch. You will see no more chums in
34 Kuskokwim. Laughing guys will over. It's true. You
35 know it's true. I'm beginning to realize that
36 everything is going to be changing from then on.

37
38 But he mentioned to us that reds will
39 be more than chums. They're going to fill the
40 Kuskokwim with reds. Few, few chums. You never talk
41 about the chinook.

42
43 This summer first opening in June I
44 catch nine. Six jacks, king, two reds and one chum.
45 When the fish are low, fish will go in the Kuskokwim
46 swimming. I just got a couple of drifts and I quit for
47 all day. No fishing all day. I don't want to waste
48 gas for fishing. Gas prices are really high in our
49 area. But the second opening first drift we catch 20
50

0027

1 jacks, six inches, 25 mesh, 35 fathoms.

2

3

The second drift we catch 24 jacks.

4 All jacks. Small jacks. I realized that when those
5 small jacks are swimming in the Kuskokwim, there are
6 lots. I know there are lots. We're killing -- we're
7 taking them. How can we protect the conservation for
8 our generations? How come we're taking them. We're
9 taking them. I know that, you know, protecting the
10 chinooks.

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

Our elders, I see them with my own eyes
and my father, my uncle, my grandpa, my grandmother,
they prepared for fish to come on the river. My dad
used to hang a net, 8.5 inch, 15 fathoms long and 28
mesh. All of them are old people. They wait for kings
and set their nets. Gee, they catch really big ones.
Let those small jacks pass through and the medium size
kings pass through. That's the conservation, real
conservation.

They don't let us use small 5.5 nets
for kings. Only for chums and reds and sock -- chums
and reds and coho. When are we going to learn. When
are we going to learn. Those old people knew. Those
old people knew. I never see 5.5. Almost eight feet
king salmon. I don't see them no more.

We used to have a competition sponsored
by Chevron, I guess. If we catch a big king, they'll
give us an award. The biggest kind on the record on
the competition is about 4.5 feet king salmon. I never
catch any king salmon that length and I never used my
8.5 45-mesh 50 fathoms since the elders closed the net.

The elders closed the net, king salmon
net. When they have a big meeting AVCP. I never use
that net for a long, long time. Now it's been sitting
in my sack. I never used them since they closed it.
So I know this year we have plentiful jacks. Plentiful
jacks in Kuskokwim this year. A couple of drifts I
make in the morning, 6:00 a.m.. When I got back to my
fish camp it was 8:00 a.m. Forty-four jacks. All
jacks. No reds, no chums. All 44 jacks.

My wife told me to quit fishing for
small jacks, so I quit fishing. I didn't fish on the
third opening, but I told my son-in-law to fish and he
catch 20 bigger on the third opening, bigger. Bigger

0028

1 kings.

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

Also I'm really upset when the Federal government closed the river and transferred it to the State of Alaska. It really makes me upset.

CHAIRMAN NANENG: Whoever is online can you mute your phone, please. We'd appreciate it. You're talking in the background.

MR. PETER, SR.: Quyana. The Federal to the State of Alaska. John mentioned a while ago. Once the Federal government take over the Kuskokwim from the mouth to the boundary of Aniak, the Federal government should control, take over complete. Not transferring it to State of Alaska.

This year it's really worse. In August it end up -- the weather is raining, windy. In August too, rain and windy. We never drift or set our nets. Two and a half -- almost month and a half for cohos. Our elders didn't care about those cohos because of the weather. In August we have a lot of rain in August when the cohos arrive to the Kuskokwim. We make (in Yup'ik) out of them. Some few (in Yup'ik). But I'm really upset and mad because I never fish. I fished for (in Yup'ik) and (in Yup'ik) for cohos.

The subsistence fishing looks like going wrong direction. Trying to control us. Us people who -- us people subsistence fishermen. We need those cohos. Commercial fishing is closed. Almost end of September the State of Alaska opened for setnetting. My nephews, two of them, they got 80 dogs. What about the rest of the community who owns dogs for recreation. Maybe those dog foods are high priced this year. Everything is going up.

I need to eat. I never taste -- only one time I taste only coho. After that it's not fair. Federal government and State government should work together. Seriously. This is not a game no more. It's not a game. Restrictions, restrictions and restrictions. Those laws.

Last year they finally accept my recommendation. Action as a group. Area M and NOAA. Finally. Finally, all those years them outsiders recognize us. Finally, all those years outsiders

0029

1 recognize us. Finally recognize us. I hope it goes to
2 reality. Those people are from other side. If we
3 control it as Alaska Natives and follow what our elders
4 used to tell us.

5
6 I know all the fish in the ocean will
7 come back to our rivers. That's why our elders when
8 they have AVCP meeting they close the king salmon net
9 and us young people followed. Maybe the elders are
10 expecting increasing the chinooks, but nobody paying
11 attention. Nobody doing their work for us.
12 Conservation.

13
14 Finally I hope -- and I would be really
15 happy if we take over. I'm glad Inter-Tribal Fish
16 Commission is working for us. If we have a port from
17 Norton Sound, Bering Sea, us we know. We could control
18 the Bering Sea, Norton Sound and Southeast if we work
19 together with other entities.

20
21 We know moose are plentiful now because
22 Yukon and Kuskokwim unite and work together to increase
23 the moose. I know the Federal government know our
24 actions and we could do the same for salmon.

25
26 I hope -- oh, one more thing. I want
27 to make a small comment and let you guys know. This
28 summer when the typhoon -- in the news on TV they talk
29 about the typhoon is coming this way to our area, in
30 the morning when I go out daylight I see plentiful
31 ptarmigans going backwards, a lot of them, all white.
32 And the birds were flying back. I know that will mean
33 something. Will mean something.

34
35 INTERPRETER: They sought shelter.

36
37 MR. PETER: All animals and moose,
38 everything, they got mind and think. They know the
39 weather. The big storm is coming. My elders used to
40 tell me don't be amazed what you see. (In Yup'ik) I
41 already used that. Those elders they tell us what they
42 did and they don't talk about what they did not do, but
43 what they did. (In Yup'ik)

44
45 Quyana, Mr. Chairman.

46
47 CHAIRMAN NANENG: Quyana, Phillip.
48 Norma. Make sure that on the record that Norma has
49 joined us. So, Norma, we're asking for reports from
50

0030

1 Council members.

2

3 MS. EVAN: Thank you, Mr. Chairman. In
4 Marshall areas and in some areas -- can you guys hear
5 me?

6

7 ACTING CHAIR NANENG: Yes, we can hear
8 you.

9

10 MS. EVAN: Thank you, Mr. Chairman.
11 This year in Marshall area we had no blueberries, there
12 were less salmonberries, I think and when we picked
13 them they're very hard here it seemed like. We had (In
14 Yup'ik) early on in May and June and it was too hot and
15 dry for, I think the blueberries to grow.

16

17 Due to subsistence closures on the
18 Yukon there were very little to no fishing at all, a
19 handful of setnetters I asked in the community, and
20 they said they were seeing bigger pikes ranging in the
21 -- over feet sometimes. I wish we could have a
22 fisheries during when the wintertime, when the pikes --
23 summer last year my dog ate my pike dryfish, quick-paks
24 and dry-paks were dog treats.

25

26 In the summer in the river I still
27 noticed there were no small fry fish salmon like swim
28 around, I did not see any around. Also Marshall and
29 the surrounding villages that use subsistence and wait
30 for the eels it's been four years since we gotten those
31 and if we do not see them this year it'll be five
32 years.

33

34 This year we had two grizzly bears
35 hanging around near our berry picking areas in the
36 village, they're hanging around the old airport and
37 they have been coming into town for a few weeks now.
38 They killed a moose not even a mile from one of our --
39 the houses on the upper -- up river -- we had a funeral
40 recently. I work on the tribal council, I cried
41 because of the importance of our salmon during
42 funerals, I did process salmon for her parents, you
43 know, and just had a funeral for Charolette Alstrom, I
44 couldn't help it I just cried because during her
45 parents' funeral, me and my family we provided like
46 salmon to them.

47

48 And that's my report from Marshall.

49

50

0031

1 ACTING CHAIR NANENG: Quyana, Norma.
2 Before I give my Chairman's report let's take a 10
3 minute break.

4
5 MS. MCDAVID: Back at 11:10 please.

6
7 (Off record)

8
9 (On record)

10
11 ACTING CHAIR NANENG: Good morning.
12 Going to call the meeting back to order again.

13
14 Do we still have all those that are
15 online listening.

16
17 (No comments)

18
19 MS. MCDAVID: Norma, are you still on
20 the phone with us?

21
22 (No comments)

23
24 (Teleconference interference -
25 participants not muted)

26
27 MS. MCDAVID: For those online, sorry,
28 we are having some technical difficulties. I'll call
29 again, Norma, are you on the teleconference line?

30
31 (No comments)

32
33 MS. MCDAVID: Okay, Norma if you're
34 with us we can't hear you.

35
36 (Teleconference feedback - unmuted
37 microphones)

38
39 MS. MCDAVID: If everyone besides our
40 two Council members on the line could please mute your
41 phones, press star, six, or your mute button, we're
42 getting a lot of feedback.

43
44 (Teleconference feedback - unmuted
45 microphones)

46
47 REPORTER: Maybe we should disconnect
48 and call back in.

49
50

0032

1 MS. WESSELS: Call back in.

2

3 REPORTER: Yes.

4

5 MS. WESSELS: So you're going to hang
6 up.

7

8 REPORTER: Yes, hang up and then redial
9 the.....

10

11 MS. WESSELS: Yeah, I have the number I
12 just need the code.

13

14 ACTING CHAIR NANENG: We're waiting for
15 technical people to say that we can go ahead and that
16 everything is hunky-dory with the technical stuff.

17

18 (Laughter)

19

20 (Off record)

21

22 (On record)

23

24 MS. MCDAVID: Norma, can you try again
25 to let us know you're on the line.

26

27 (No comments)

28

29 MS. MCDAVID: What about Council Member
30 Robert Hoffman, are you on the line Robert?

31

32 (No comments)

33

34 MS. MCDAVID: Can anyone else that
35 might be on the teleconference try to speak up and let
36 us know if you can hear us.

37

38 (Teleconference feedback - unmuted
39 microphones)

40

41 MS. MCDAVID: Just so folks on the
42 phone know, we can't hear anyone on the phone currently
43 so we're trying to resolve that issue.

44

45 (Pause)

46

47 (Off record)

48

49 (On record)

50

0033

1 ACTING CHAIR NANENG: In the interest
2 of time I think we'll go ahead and continue. I'll
3 introduce myself, my name is Myron P. Naneng, Sr., and
4 it's my baptismal name. My Yup'ik name is (In Yup'ik)
5 and I'm named after my grandmother who passed away
6 right before I was born. I am from the village of
7 Hooper Bay (In Yup'ik). I was born and raised there and
8 lived there until I was eligible to go to high school
9 and from there went to high school at St. Mary's, after
10 St. Mary's, graduated from St. Mary's went up to UAF
11 and also attended college here in Bethel at the
12 Kuskokwim Community College. I've lived in and out of
13 Bethel from 1974 through 1976 but I moved here to
14 Bethel in 1979 and I've been here ever since.

15
16 One of the things that I used to not
17 like about Bethel when I was going to college was
18 having to pass through and one of the thoughts that I
19 said back then, before I got married, was I will never
20 live in Bethel.

21
22 (Laughter)

23
24 ACTING CHAIR NANENG: Every once in
25 awhile my wife says to me, do you want to move and I
26 say -- I look at her and say, no, I don't want to move
27 because within an hour I can go fishing, I can go
28 hunting, go berrypicking and almost everything that I
29 want to do, subsistence food gathering.

30
31 So I've been a subsistence fishermen at
32 Hooper Bay when I was growing up when my dad used to
33 out down to Bristol Bay to work at cannery and also to
34 be a commercial fishermen, I had to be the one to
35 subsistence for the family. A lot of people think that
36 it's easy to fish for salmon at Hooper Bay. It depends
37 on the prevailing winds during the wintertime to have
38 salmon come into the Bay. If the winds are prevailing
39 from Northwest all winter long then the Yukon River
40 water is being pushed into the Bay so the salmon follow
41 that Yukon River water along the Coast and up to the
42 Yukon River itself. In 1985 I started commercial
43 fishing on the Yukon, bought a permit, and also
44 subsistence fished there at Black River, one of those
45 old grandfathered in commercial fishing sites before
46 the crashes of salmon that started happening -- the
47 decrease started back in 1990s, it accelerated in 2000s
48 and I have not fished commercially since about 2017
49 because I felt that a lot of people on the Yukon that
50

0034

1 fished there needed it more than I did. However, every
2 once in awhile I go subsistence fishing at Black River
3 for my family and we did that when they closed the
4 Kuskokwim River completely back about 2018.

5
6 So we gather enough for our family but
7 more recently we've also had to gather more for those
8 of our families from Hooper Bay as well as Scammon Bay
9 because of the restrictions and closures of those
10 fishing areas because of low returns of salmon to the
11 Yukon River.

12
13 To fish here on the Kuskokwim nowadays
14 you have to go to the non-spawning grounds to go
15 fishing and they're not necessarily close by. You have
16 to drive a long ways and it's not necessarily a one
17 hour trip one way, it might take as much as two or
18 three hours to get to where we want to go fishing for
19 food. So with all those years of fishing on the Coast,
20 on the Yukon and now the Kuskokwim I've observed a lot
21 of changes to many of the subsistence fishing
22 opportunities for many of our people in each of those
23 areas.

24
25 One of the thing that has been observed
26 by many of our people at Hooper Bay, tomcods, which
27 used to be abundant during the spring and fall, the
28 last two years there's very little returning but
29 they're slowly returning this year. Halibut that's
30 being fished by people on the Coast, like Nelson Island
31 and along the Coast down to Quinhagak and even up the
32 Coast around Hooper and Scammon that I know of, and
33 even some of the Yukon River people are starting to go
34 halibut fishing because they can't harvest any salmon,
35 but the size of those halibuts are getting smaller,
36 they're not as big as they used to be.

37
38 So all the fisheries have been impacted
39 by both State and Federal management. You know in the
40 past I used to be on the Alaska Yukon Canada Treaty
41 negotiating team. You know how the best way to be
42 kicked out of the negotiating team is, make a
43 suggestion that the State of Alaska should address the
44 issues of salmon management in-state before they go
45 negotiating with another country. We have in-state
46 issues that need to be addressed. After I made that
47 comment at one of the negotiating team meetings I got a
48 letter a week later saying, thank you for your services
49 but your services are no longer needed. I must have
50

0035

1 hit a point that really needed to be addressed back
2 then. That was in the early 2000s. So I've attended
3 many North Pacific Fishery Management Council meetings,
4 many Board of Fish meetings raising the concerns of
5 salmon that have been decreasing over the years. And
6 every time we go to the Board of Fish or the North
7 Pacific Fishery Management Council they don't take into
8 account our observations but they consider them to be
9 anecdotal. Why do they consider them to be anecdotal?
10 It's because we didn't have someone with a degree from
11 an accredited university with only a couple of years of
12 observations to tell them that what we're saying is not
13 true -- like Phillip stated, elders from their
14 observations will tell you what they're observing.
15 They don't have to put it in writing or in a book to
16 let you know that this what they're observing.

17
18 I used to go commercial herring fishing
19 out at Scammon Bay and Cape Romanzof. My father in
20 law, Teddy Sundown, when they -- when we -- before we
21 went out to the fishing site told us, you young men
22 better get ready because the herring are hitting out at
23 Cape Romanzof, he wasn't even there to tell us that it
24 was happening. A few hours later we heard an
25 announcement from Fish and Game people that were on
26 site saying that the herring had arrived, but he was
27 observing it both from looking at the seagulls that
28 were flying overhead, the cloud conditions and what he
29 had observed over the years. If my father in law had
30 said that at a Board of Fish meeting or someone who's
31 trying to put together rules and regulations to
32 restrict your livelihood, they would have considered
33 that to be anecdotal. But it was true, and it was what
34 he observed. I wish I could observe more so I can tell
35 him I catch that -- this is what I learned from him.

36
37 You know, the last few years there has
38 been lack of subsistence fishing on the Coast, the
39 Kuskokwim, the Yukon, and various restrictions where
40 fish racks are empty, where smokehouses are empty yet
41 commercial fishing is allowed to happen on some of the
42 known intercept fisheries of salmon that are bound for
43 the Yukon and the Kuskokwim, and even to other spawning
44 grounds in Western Alaska. Why do they say that. It's
45 a mixed stock fishery that they've studied for many
46 years, conducted genetic studies and also tried to find
47 out where the salmon are returning to the spawning
48 grounds, via genetic studies and every time that is
49 brought up, including the tagging study that was done
50

0036

1 back in 1980s they say it's inconclusive that any of
2 that salmon is returning to the spawning grounds to the
3 Kuskokwim, to the Yukon, or to other Western Alaska
4 spawning grounds. And it affects our people, the
5 Yup'iks, the Chup'iks, the Athabascans. And they allow
6 commercial fishery first. And then my thought, and
7 I've said this directly to the Commissioner of Fish and
8 Game, are you trying to cancel culture and they say,
9 what do you mean by that, you're canceling culture by
10 the fact that you're not allowing our people to
11 practice what they have done for many centuries, your
12 rules and regulations continue to restrict, limit
13 opportunities for our people. And I hate to say this
14 but are we going towards what will close everybody out
15 from fishing, both commercially, subsistence,
16 sportsfishing, are we moving to that direction of
17 endangered species status, endangered species listed.
18 Because that's the only way that it's going to close
19 all fishers.

20

21 A few years ago my wife and I were
22 fishing for whitefish up on the mouth of Kisaralik, we
23 caught a jack, Fish and Wildlife came by said we had to
24 release it, which was fine with us, but one of the
25 things we're also observing is the number of whitefish
26 that we used to catch at the mouth of Kisaralik with
27 small hooks and we're fishing primarily for whitefish,
28 we're not catching as many whitefish as we did before.
29 And that whitefish, we pressure cook it and make (In
30 Yup'ik), mix it with berries, salmon berries,
31 blackberries and blueberries and we eat it, it's good
32 nutritional food. That's also slowly but surely being
33 reduced substantially by the fact there's not as many
34 chum salmon spawning so these other species of fish can
35 be abundant for food and eating.

36

37 I've been a member of other
38 conservation efforts. AVCP Waterfowl Conservation,
39 Alaska Migratory Bird Co-Management Council. In 1997
40 we were successful in getting the U.S. Senate to ratify
41 the protocol amendment to allow for spring migratory
42 bird hunting that they had closed back in 1916. That
43 was the first recognition that our Native people would
44 be able to harvest spring migratory birds as they
45 returned. Because we know during the falltime all
46 those birds return in higher numbers to their wintering
47 grounds. We've even negotiated with some of the
48 farmers down in California, Washington and Oregon.
49 They want to kill off 50,000 cacklers and we said no.

50

0037

1 Those are our food source. Those are what our people
2 survive on when there's other food not available.

3

4

5 The moose moratorium that was
6 instituted back in 2000s, latter part of 1990s. Five
7 year moratorium to try to build the population of
8 moose. You know I can brag to other parts of the state
9 to tell them on the lower Yukon you can hunt for two
10 moose today. You can hunt for a bull, a cow and/or a
11 calf because there's so many moose in that area. But
12 if you talk to somebody else that never seen a moose
13 and you mention a cow they might think that it's
14 livestock running around in their farmlands, but, in
15 essence, what our people have done on the YKDelta is
16 build up their farmlands. But the thing is is that
17 five year moratorium was not the one that our villages
18 accepted, our villages put in two more additional years
19 to build up that moose population. Now the moose are
20 going out to the Coast, they're even swimming in the
21 Bering Sea, they're even down here on the Kuskokwim
22 River and because of the efforts of our people to build
23 up that number. I wouldn't be surprised if I see an
24 antlered seal one of these days but that's something
25 else.

25

26

(Laughter)

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

ACTING CHAIR NANENG: So I think one of
the things that needs to be done is that the bycatch by
trawl fleet needs to be reduced substantially because
at their meetings they always say we're instituting
excluders but do those excluders work, meaning that
they're trying to avoid salmon in their trawls, yet
they catch so many of them. They're trying to exclude
halibut, but they're catching so many of them. At the
AFN Convention just this last week there was a
resolution that we supported where we're trying to get
the State to move forward with the reduction of
intercept fisheries down in Area M. It needs to be
reduced. Because the numbers that they provide are
only the reported numbers, they're not the total
numbers of what they catch. Of chum salmon. And we're
paying for the brunt of it.

So I believe we don't want to get to
that endangered species status but are we being
realistic that chums will return in higher numbers very
soon. I hope that prediction doesn't happen but we'll
be very much restricted for all of us and when that

0038

1 happens will both Fish and Wildlife and/or State of
2 Alaska have any management concerns over that, will
3 they be able to manage the fisheries, you know, I think
4 -- my belief is that we all have to work together to
5 build those numbers up. If we can build numbers of
6 other resources within the YKDelta and other parts of
7 the state I think we can work together to make it
8 happen but it's an ongoing concern.

9

10 So I hope that, like all of us here on
11 the Regional Advisory Council, we hope that both State
12 of Alaska and Fish and Wildlife are listening to us, we
13 don't want continued regulations that further restrict.
14 In essence these restrictions are killing our culture.
15 And a lot of the people that live in the villages are
16 feeling the brunt of it, they're feeling the brunt of
17 not being able to harvest what they have relied on
18 annually for food, you know, I fished as much as I can
19 so I wouldn't have to pay as much to go to the grocery
20 store to buy food that's not necessarily nutritious
21 and, you know, it doesn't do well for my health to eat
22 store bought food, I get what they call acute heartburn
23 because of some of the chemicals they put in those
24 foods. But salmon and other food that we harvest
25 reduces that heartburn and also other sicknesses that
26 we may have.

27

28 And as a family I think we need to get
29 that fishery back for our people so that it can keep
30 the families together, and that's what I mean by
31 cancelling culture. It's disrupting the family unity.
32 It's disrupting the opportunity to gather food as a
33 family and also for our young people to learn that you
34 have to work hard to gather all this instead of waiting
35 for somebody else to bring it to you.

36

37 So that's my comments and I'd like to
38 thank the Council members for their reports too.

39

40 So with that thank you very much.

41

42 Okay, now that we're done with the
43 Chairman's report we'll go down and follow the agenda
44 and go to Item No. 8, the service awards.

45

46 Brooke.

47

48 MS. MCDAVID: Thank you, Mr. Chair.
49 And I realized in the sort of shuffle this morning that

50

0039

1 I forgot to introduce myself to everyone. My name is
2 Brooke McDavid and I'm your new Council Coordinator. I
3 am very excited to be working with all of you. I know
4 we've been talking a lot on the phone these last couple
5 weeks getting ready for the meeting. So you all have
6 gotten to know me a little bit but I wanted to make
7 sure to introduce myself, especially for the other
8 folks in the room that I may not have met yet and for
9 the folks online.

10

11 Today we have just a couple of service
12 awards to give out to folks but before we do that I
13 just wanted to say thank you all, all Council members,
14 for your service on this committee. The time you give,
15 you volunteer to prepare for and attend these meetings,
16 it's time, you know, away from your family and away
17 from your jobs and we really want to thank you for that
18 time. And, you know, we thank you for sharing your
19 local and traditional knowledge with us, your
20 experiences and your observations. It's invaluable to
21 the Federal Subsistence Management Program.

22

23 So, Quyana, to all of you for that.

24

25 ACTING CHAIR NANENG: Quyana.

26

27 MS. MCDAVID: Today we have two service
28 awards to give out. And we try to give service awards
29 out every five -- for every five years of service on
30 the Council. We got a little bit behind because of
31 Covid so we're trying to pick back up where we left off
32 with that. And today we have Jill Klein with us, she
33 is the Alaska Regional Subsistence Coordinator for U.S.
34 Fish and Wildlife Service and she's also an InterAgency
35 Staff Committee member and she's going to help give out
36 the awards today. Jill will say a few words about the
37 recipients of the awards and then if any of the Council
38 members want to offer any words to the recipients or
39 anyone else in the room you'd be welcome to as well.

40

41 I'll turn it over to Jill now, thank
42 you very much.

43

44 MS. KLEIN: Okay. Thanks, Brooke. And
45 I'm honored to be able to be able to give out these
46 awards. And so first we have Alissa Rogers and she
47 gets the first award in recognition of five years of
48 service on the Yukon/Kuskokwim Delta Council.

49

50

0040

1 Ms. Rogers is a lifelong subsistence
2 user in the region and currently lives in Bethel. When
3 she was young per parents sent her to help with and to
4 learn about subsistence and commercial activities from
5 both sides of her extended family. Presently Ms.
6 Rogers continues to participate as she shared earlier
7 today, in as many subsistence activities as she can
8 with her family. She harvests, processes and preserves
9 a variety of wildlife, fish, birds, plants and berries,
10 and she also shares her knowledge, her traditional
11 subsistence practices with others. And she also served
12 as the Chair of this Council.

13

14 Ms. Rogers, the Federal Subsistence
15 Management Program thanks you again for your five years
16 of service on the Council and for all the work that you
17 do for subsistence users in the region.

18

19 (Applause)

20

21 MS. KLEIN: All right, the second one
22 is to John Andrews -- or Andrew. He's been on the
23 Council for 15 years. So he was previously recognized
24 during the Council meeting held by teleconference but
25 since this is our first time meeting in person, as you
26 all know, in a couple of years, we wanted to be able to
27 present him an award face to face.

28

29 The Federal Subsistence Management
30 Program would like to recognize Mr. John Andrew for 15
31 years of service on the Council.

32

33 Mr. Andrew is from the community of
34 Kwethluk and is also a lifelong subsistence user from
35 the region. Mr. Andrew and his family have always
36 lived a traditional subsistence lifestyle and he has
37 extensive knowledge of regional resources from a
38 lifetime of hunting and fishing. Mr. Andrew has
39 hunted, fished and gathered just about every type of
40 resource available in the region and we're so grateful
41 for his expertise on the Council.

42

43 So, Mr. Andrew, the Federal Subsistence
44 Management Program thanks you for your 15 years of
45 service on the Council and for all the work that you do
46 for subsistence users in your region.

47

48 (Applause)

49

50

0041

1 MR. ANDREW: Thank you, Mr. Chairman.

2

3 (In Yup'ik)

4

5 INTERPRETER: Thank you to everyone who
6 is sitting here in the audience and to the Staff for
7 recognizing me. And thinking of all the elders who
8 have gone on and they are here in our heart and in our
9 mind for those of us who started attending these
10 meetings so we have to try to help our people in our
11 mind, heart and actions so in getting this recognition
12 it is very happy to be recognized and acknowledged for
13 my work.

14

15 Thank you.

16

17 ACTING CHAIR NANENG: Quyana, John and
18 Alissa for your years of service.

19

20 (Applause)

21

22 (Photo opportunity)

23

24 (Applause)

25

26 ACTING CHAIR NANENG: Since it's almost
27 noontime, we're going to take one hour and 10 minutes
28 break because it's almost five minutes to lunch so I'll
29 give the credit to the time. So one hour and 10
30 minutes so we can get back after lunch, so that'll be
31 like about 1:10 that we'll get back.

32

33 Brooke.

34

35 MS. MCDAVID: Thank you, Mr. Chair.
36 Brooke McDavid for the record. I did have a request,
37 Mr. Chair, from our presenter from the North Pacific
38 Fishery Management Council. She has some scheduling
39 conflicts, she won't be able to be here later this
40 afternoon or tomorrow and she has requested, if
41 possible, if you would entertain her presenting as soon
42 as we get back from lunch.

43

44 ACTING CHAIR NANENG: Yes, we'll have
45 her first on the agenda if there's no objections from
46 the rest of the Council members.

47

48 (No objections)

49

50

0042

1 MS. MCDAVID: Thank you, Mr. Chair. I
2 will let Dr. Stram know about that. And just so folks
3 on the phone know, when we return from lunch we'll have
4 Dr. Stram's presentation and then the next item on the
5 agenda will be the opportunity for public comments on
6 the non-agenda items.

7
8 Thank you.

9
10 We'll return at 1:10.

11
12 ACTING CHAIR NANENG: Yes. Quyana
13 everyone see you after lunch.

14
15 (Off record)

16
17 (On record)

18
19 MS. STRAM: Good afternoon, members of
20 the Council. My name's Diana Stram. I'm the Senior
21 Scientist for the North Pacific Fishery Management
22 Council. I'm going to provide you an overview of the
23 chinook and chum bycatch in the Bering Sea as well as
24 actions that were taken up by our Council in June and
25 actions that will come related to this for our Council
26 in December. And, again, as Brooke said there's a
27 longer presentation that was given to the Gubernatorial
28 Bycatch taskforce, the Western Salmon Subcommittee back
29 in July that's available for reference in your
30 materials and I also have additional slides here that
31 if you have additional questions I'm happy to answer
32 them but in the interest of your time I tried to
33 shorten this a little bit.

34
35 Next slide.

36
37 So just to provide you an overview and,
38 again, the more detailed presentation contains all of
39 these reports from July. This is what was presented to
40 our Council in June of this past year in Sitka. This
41 is per Council request last October. So we heard an
42 overview of salmon stock status and research updates
43 from both ADF&G and NOAA and that included stock status
44 updates for Western Alaska chinook and chum and then
45 the overview from both the Alaska Fisheries Science
46 Center and ADF&G of their ongoing research plans as
47 well as National mandates. We heard our annual reports
48 on the Bering Sea and Gulf of Alaska salmon genetics
49 reports, and I have some of that to show you here.
50

0043

1 Right now that included chum salmon bycatch genetics
2 from -- through the 2020 and 2021 fishery year because
3 we did not receive 2020 reports due to Covid. And then
4 the salmon chinook genetics were from 2020. They're
5 still working on catching up so that they can provide
6 those reports in a more timely manner so they're only
7 one year out as opposed to right now where they're two.
8 We heard about additional ongoing genetics work and
9 plans from the Alaska Fisheries Science Center. We
10 provided a Bering Sea chinook adult equivalency and
11 impact rate report as well as (indiscernible -
12 distorted) on how to assess impacts of chum bycatch on
13 Western Alaska stocks. Those are all contained in
14 additional slides so, again, I'm happy to answer
15 questions or walk through them but they're not included
16 in this shortened version here. And then reports that
17 we hear annually from the industry. We heard a report
18 about salmon excluders. I will talk a little bit about
19 salmon excluders in this presentation. And then
20 reports from the three different sectors of the pollock
21 fisheries on their incentive plan agreements as well as
22 an update from SeaShare which is the hunger relief
23 organization that distributes both donated as well as
24 bycaught salmon and rockfish and other, and halibut
25 back to communities within Alaska as well as the
26 Pacific Northwest.

27

28 Next slide.

29

30 So the next few slides are just to
31 provide you a brief history of the Councils actions in
32 managements related to chinook and chum salmon bycatch
33 in the Bering Sea.

34

35 Next slide.

36

37 So just as an overview, this is chum
38 salmon bycatch in blue and chinook salmon bycatch in
39 red and, again, the right-hand Y axis provides you the
40 chinook salmon numbers, the left-hand axis in blue
41 provides you the chum numbers and these are from 1990
42 through 2021. And then at the bottom I just showed
43 what the numbers are and as of two weeks ago in October
44 of 2022. So I'm going to walk through some of these
45 trends because the trends in both species bycatch have
46 driven a lot of our management responses. But just to
47 note on here because it's not on the graph that the
48 chinook bycatch as of October 13th was 6,336, the chum
49 salmon bycatch as of October 13th was 242,350. And,
50

0044

1 again, you'll note that high spike in 2021 of over
2 500,000 bycatch which we'll talk about in just a
3 minute.

4

5 Next slide please.

6

7 So this slide just shows you that over
8 the period of the '90s to the early 2000s when the
9 Council's been managing salmon bycatch overall.....

10

11 (Teleconference interference -
12 participants not muted)

13

14 MS. STRAM: I'm sorry, did you want to
15 pause for something?

16

17

18 (No comments)

19

20 MS. STRAM: Okay, I'll keep going.
21 Please let me know if there's questions and I can
22 pause.

23

24 So in the '90s and the early 2000s we
25 managed salmon by time area closures so these were
26 large scale closures in the Bering Sea that had a
27 trigger limit so a numbered limit for both chum and
28 chinook and time that those areas were closed so when
29 they were triggered those areas closed and the Bering
30 Sea pollock fleet had to move out of those areas.

31

32 Next slide.

33

34 And just to be clear I'm on Slide 6
35 now.

36

37 So what happened is then there was
38 information indicating that those large scale closures
39 called salmon savings areas were exacerbating, they
40 were making the bycatch worse and that there was
41 indications that the salmon inside of those closure
42 areas, there was less salmon inside the closure areas
43 than outside the closure areas so when the fleet was
44 being pushed out of those broad scaled closures it was
45 making the bycatch worse. So the Council developed an
46 interim measure in about 2004 that was to exempt the
47 fleet from the closures while they began to develop
48 additional measures. And at the time the industry was
49 developing what's called a hot spot closure system to
50

0045

1 which all of the sectors belonged to and it's a closure
2 system in which the fleet themselves can impose three
3 to five day closures -- three to seven day closures,
4 I'm sorry, based on areas of hot spots of bycatch that
5 they experienced and communicated internally.

6

7

Next slide.

8

9

10 At that same time, I would say in 2005
11 while we were developing that we were looking at a chum
12 cap in 2005, because of that high level over 700,000
13 chum caught as bycatch. While the Council started to
14 develop that the focus in 2007 then shifted to chum
15 because we had a high bycatch year of over 120,000
16 chinook bycatch in the pollock fleet. So the Council
17 switched the overall focus from chum to chinook and we
18 had multiple workshops with our science and statistical
19 committee and experts in the field. The Council
20 developed a bycatch committee that was a standing
21 committee at that time to assist in developing
22 different cap levels for chinook salmon at that time.

22

23

Next slide.

24

25

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

Next slide.

1 That Amendment 91 was implemented in
2 2011. There are some provisions that go along with
3 putting a cap on the pollock fleet and part of that was
4 that we instituted systematic genetic sampling. So
5 previously any of the genetic samples from the salmon
6 that were bycaught to determine which stocks of origin,
7 so which rivers they were going back to, it was done
8 opportunistically by observers when they had a chance
9 to collect samples. And implementing Amendment 91 we
10 instituted systematic genetic sampling so in the Bering
11 Sea where it's 100 percent observed and now there's a
12 census for salmon so every single salmon that is caught
13 by the pollock fleet is counted either by an onshore --
14 by an observer on the actual vessel or by an observer
15 in a shore side processing plant where the catch is
16 delivered. There's also cameras that are onboard all
17 vessels and all points of entry to ensure the
18 compliance with that. In addition to that, the
19 systematic genetic sampling meant that one in every 10
20 chinook was sampled for genetics and one in every 30
21 chum are sampled for genetics. That is still the case
22 now. And so that gives us a representative sample
23 that's consistent from one year to the next. So that
24 was implemented in 2011 and at that time the Council
25 then moved back to looking at chum bycatch because that
26 measure was only for chinook and so the Council spent
27 about two years developing measures for chum bycatch
28 that were considered in multiple analysis. And then in
29 2012 when they were taking review of that analysis that
30 included time area closures as well as overall hardcaps
31 for chum -- we call them hardcaps when it closes the
32 fisheries as opposed to a seasonal closure or a time
33 area closure -- in 2012 the Council tabled it at that
34 point because any of the measures that they were trying
35 to consider seemed to be undermining the recent
36 measures for chinook and chinook was always considered
37 the priority.

38
39 Next slide please.

40
41 So in development of that then we began
42 to develop what's called Amendment 110 and that was
43 developed primarily in response to continued low
44 returns of chinook salmon runs in Western Alaska as
45 well as some analysis that we did that showed that
46 there might be a need for some stronger vessel level
47 incentives. We found that while overall bycatch was
48 decreasing when we looked at a vessel level some
49 vessels were continuing to have high bycatch despite
50

0047

1 the idea that there were incentives to reduce their
2 bycatch. So we made a number of changes under
3 Amendment 110 in terms of increasing the vessel level
4 incentives within the incentive structure on individual
5 vessels, we put revisions -- we put provisions on
6 fishing into September and October where they tend to
7 catch higher bycatch of chinook and we also put into
8 place a lower cap in times of low chinook abundance,
9 which I'll talk about in the next slide. We also then
10 included the chum measures as part of the incentive
11 plan agreement. So before chum measures were taken as
12 a lower priority to chinook, and so the closures were
13 always for chinook so we folded the chum measures in
14 with the incentive plan agreements with the idea that
15 they would still prioritize chinook salmon bycatch
16 avoidance but that they would also take measures to
17 move away from areas of Western Alaska chum and we
18 worked with the geneticists to provide as much spacial
19 and temporal detail on the genetics of where the fleet
20 was encountering Western Alaska chum understanding that
21 that was the priority for avoidance.

22

23 Next slide please.

24

25 So overall this is the current system
26 that's in place right now. Our measures to minimize
27 salmon, PSC, prohibitive species catch, and that's what
28 it is in regulation in the pollock fishery. So we have
29 two different amendments then that set up chinook
30 salmon PSC limits under Amendment 91 and then Amendment
31 110, we have a higher and a lower cap structure so
32 right now what we have is a three river index that
33 includes the post-season in-river run size abundance
34 for the Kuskokwim, Unalakleet and the Upper Yukon so,
35 in aggregate, those three rivers are added together and
36 if the number of that -- the sum of those three is less
37 than 250,000 fish then the cap drops in the following
38 year for the pollock fishery to a lower cap. It drops
39 from an overall cap of 60,000 to an overall cap of
40 45,000 with a performance standard that the fleet is
41 intended to stay below, and, again, those are divided
42 out by sector and season in order to continue to be
43 able to fish under those cap levels. So for the past
44 two years and also for 2023 we will be, again, under
45 the low cap level because the aggregate three river
46 index is below 250,000 fish. Under their incentive
47 plan agreements the fleet then continues to provide
48 additional incentives to avoid chinook and chum salmon
49 under any condition of abundance, they have their own
50

0048

1 rewards and penalties that are fixed in their plan
2 agreements. Something that we can't do at the
3 regulatory level. They also impose, again, hotspot
4 closures. That little figure to the bottom right,
5 those red boxes are areas in the Bering Sea that are
6 closed when they have received information that say a
7 vessel or two vessels have run into a chinook in a
8 haul, or chum, then they will draw a closure around it
9 and the fleet will have to avoid that closure for three
10 to seven years -- sorry, three to seven days, while
11 they continue to fish in the Bering Sea. We also have
12 salmon escapement panels which I'll go over in the next
13 slide and, again, donations to food banks, that's what
14 SeaShare, the hunger relief organization handles all
15 the donations of bycaught fish to -- for hunger relief
16 and redistribution, both to Western Alaska as well as
17 communities across Alaska and in the Lower 48.

18

19 Next slide.

20

21 So salmon excluders are now used in all
22 pollock nets by regulation after Amendment 110 and what
23 these are escape -- they're an escape mechanism within
24 the caught end of the trawl net because salmon are
25 better swimmers than pollock, they can sense the
26 (indiscernible - distorted) in the current which is
27 present where they've got this escapement panel and so
28 when the net's moving through the water the pollock
29 fall back into the caught end and the salmon are able
30 to escape. They've run a number of experiments, the
31 salmon excluders tend to do much better for chinook
32 than they do for chum. I think that the most recent
33 report that we heard in June there is about a 30
34 percent success rate in general for chinook. They've
35 had trouble having similar success rates for chum,
36 they've tried various designs and so -- but everyone is
37 using those, they still do work for chum but not with
38 as high of percentage of escapement.

39

40 Next slide please.

41

42 So just to give you a general idea in
43 terms of the seasonal and area catch patterns for the
44 pollock fishery, the graph that you see here just shows
45 you from '91 to 2021 the overall catch of pollock in
46 metric tons and then the colors just show you in terms
47 of area where they're fishing, where they're catching
48 it in both A season, the winter season and the B
49 season, southeast and northwest of 170, which is a
50

0049

1 dividing line in the Bering Sea. To the right of those
2 panels that you see to show you the bars, are the catch
3 concentrations and this is to show you what the winter
4 fishery, which is called the A fishery, looks like in
5 terms of where they're fishing so you see that they're
6 concentrated pretty -- most of the shoreside fleet is
7 always just north of Unimak Island and they stretch up
8 towards the Pribilofs but they're constrained by ice
9 cover so in most years -- 2019 you see it more
10 concentrated, 2020 a warmer year they were able to move
11 a little bit more up the shelf edge and around there
12 and then 2021 you see kind of a patchier distribution,
13 just concentrated around the Pribilofs and then
14 concentrated in Unimak.

15

16 Next slide please.

17

18 And in contrast then, for the B season,
19 again the ice cover, this is, again, pollock catch and
20 here the fleet fishes -- the shore side fleet tends to
21 be closer to shore, again, very far off shore in the
22 Bering Sea and then in general up along the entire
23 shelf edge stretching towards the Russian border to let
24 you see to the far -- the far left, the upper left-hand
25 corner shows you the extent of the fishing and, in
26 general, that goes pretty close in some years the 200
27 nautical mile boundary of the EEC (ph) with the Russian
28 fleets.

29

30 Next slide please.

31

32 The next couple slides I have just
33 gives you some of the genetic summary that we heard in
34 June. We do get this every year. I would note we
35 normally get this report in April and this year we
36 waited until June to take the report and I understand
37 that we're hearing that that was not as convenient for
38 many people to participate in. The reason that that
39 was done was so that we could get the genetics back on
40 the 2021 chum bycatch in order to see if it looked
41 substantially different from the bycatch in previous
42 years but we will make every effort to move that report
43 back to April to accommodate people.

44

45 Next slide please.

46

47 This just gives you the trends in the
48 genetic breakouts in general. Again on the left you
49 see the trend in Bering Sea chinook bycatch in blue,
50

0050

1 the numbers themselves, on the right, similarly, for
2 Bering Sea chum salmon bycatch this just gives you
3 through 2021 but, again, the numbers at the bottom,
4 similar to earlier are the ones that show you what they
5 are in 2022. On the left, speaking to chinook, what
6 you -- the green and the red line then, refer to the
7 upper and lower catch levels -- the limit numbers for
8 the Pollock fleet and so the green is what we call the
9 performance standard, or the performance limit and that
10 is an annual limit that they are intended to stay below
11 in order to retain some of the flexibilities that they
12 have in their current system for fishing. The red
13 number is the overall limit that closes down the
14 fishery and, again, where you see the drop in those
15 limits that's because we went into a lower level year
16 for salmon bycatch, the lower limit based on the three
17 river index. This just shows you that in 2021, again,
18 we were in that lower level in 2019, we went back to
19 the higher level in 2020 and then in 2021 and 2022,
20 which isn't shown here, we've been at that lower level
21 and, again, we'll be at that lower level in 2023 as
22 well. And then the pie charts just show you as a
23 snapshot, and this tends to be fairly consistent but
24 I'll show you some other graphs after -- in terms of
25 the genetic composition of the bycatch and so in
26 general we see, if you're looking at chinook to the
27 left, it's the large blue part of the pie, that's the
28 grouping that includes Coastal West Alaska and the
29 Yukon and that tends to comprise about 40 percent of
30 the overall bycatch of chinook that the fleet
31 encounters. To the right, if you look for chum salmon
32 bycatch then, the situation's quite different and what
33 you're looking at is the red pie that says Coastal West
34 Alaska and that tends to be about 16 percent, what you
35 see in green is the Asian component and that really
36 dominates the chum that the fleet encounters so a lot
37 of the hatchery releases from the Asian Pacific Rim
38 hatchery releases tend to dominate the bycatch.

39

40 Next slide please.

41

42 So, again, going back to like major
43 takeaways from Bering Sea chinook, this shows you in
44 every year that we've done systematic sampling from
45 2011 through 2020 the colors represent individual years
46 and looking -- starting with the far left, these are
47 the breakouts that we are -- can report back on
48 currently, genetically, so they're very large aggregate
49 groups but we have one large group that's Coastal West
50

50

0051

1 Alaska, they can break the middle Yukon out separately
2 from that and the upper Yukon, North Alaska Peninsula
3 is a separate stock, Northwest Gulf of Alaska is a very
4 large aggregate of stock and then Coastal Southeast
5 Alaska, again, a large aggregate, British Columbia and
6 then the entire West Coast of the U.S. And what you
7 can see is that there is a spike -- the lower level
8 then gives you the numbers, the upper graph gives you
9 the relative proportion so if you're looking at the
10 numbers what you're looking at is that in 2020 then, of
11 all the bycatch that was taken about 16,000 of it would
12 have returned to overall Coastal West Alaska.

13
14

Next slide please.

15
16
17
18
19
20
21
22

So just to show you that a little bit
more, so you can see that separately, this gives you
again, the exact same thing as the previous slide, just
showing you the proportion -- or the actual numbers if
you break them out from the proportion of the samples
that were to Coastal West Alaska, middle Yukon and
upper Yukon.

23
24

Next slide please.

25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47
48

And similarly for chum, it's just
plotted a little differently, the top is from 2011 to
2021, again, in relative proportion, in yellow the
Western Alaska stock, in blue the upper and middle
Yukon combined and then for comparison in purple the
Southwest Alaska, same color scheme in the bottom but
that just gives you in terms of overall numbers. So in
general the proportion of Western Alaska and Yukon
stocks have been much lower than the average proportion
over the last two years and then with that large
bycatch in 2021 of over 500,000 you basically had about
50,000 of those fish that would have come back to
Western Alaska based on that. And the genetics -- the
proportions of Western Alaska and Yukon fish vary in
space and time within a year so they've been working
really hard to try to break those out in time and space
so we can get a better understanding on an annual basis
of where those stocks are located in the Bering Sea in
terms of where fishing pressure is to try to help
inform additional management measures for stock
specific avoidance -- obviously the goal is to avoid
Western Alaska chinook and chum salmon so we're working
on that.

49
50

0052

1 Next slide please.

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

The next couple slides then just talk about what the Council action was coming out of the June meeting and then I'll get into what's being requested for December.

Next slide.

So the Council took a motion -- they're acknowledging that the Western Alaska salmon crises and obviously the impact it's having on culture and food security throughout Western Alaska while the best information we have about the climate is that it's a primary driver of the poor salmon returns. The Council is still committed to looking at improvements in the salmon bycatch management to try to minimize bycatch at all levels of salmon and pollock abundance. So the Council made a number of requests. The first is of the pollock industry, that they implement additional salmon -- chum salmon bycatch avoidance measures. So this was taken in June and in the beginning of the B season. I should have noted that the pollock fleet do not encounter chum salmon in the A season, only in the summer season, the B season. They encounter chinook in both A and B. So the Council asked that they implement additional measures. They did hear in public comments from some sectors of the pollock fleet, some measures that they were intending to put in to place for the B season to try to do a better job of avoiding chum salmon and they'll be reporting back to the Council in December on the efficacy of those measures and how well they worked. The Council also requested a discussion paper of Staff and we're working on currently, and the main goal of that is to look at what the Council was considering in 2012 in terms of management actions, cap levels and time area closures and then looking at updated bycatch and genetic stock composition information, how that varies in space and time, what the rationale was for how chum is currently managed in the pollock fishery, different trade offs that the pollock fishery encounters in avoiding PSC species. So in -- and specifically the main PSC species that the pollock fishery is avoiding, chum salmon, chinook salmon, herring. The fleet's also trying to avoid squid, while not a prohibitive species is in our ecosystem component and they can run into a great number of squid as well. And then the Council requested that we summarize some of the varying

0053

1 conditions that have changed since 2012 since chum was
2 last looked at in 2012, some of this, asked us to
3 incorporate an overview of Asian hatchery releases as
4 well as changes in Alaska chum salmon stock status.

5

6 Next slide.

7

8 The next part of the Council's motion
9 then, as you're probably aware, the State of Alaska has
10 a bycatch task force that has been meeting over the
11 course of the last six months. It also has a -- part
12 of that is the Western Alaska salmon subcommittee
13 that's been meeting. So the Council wants to consider
14 the findings and the recommendations of the overall
15 State of Alaska bycatch task force while continue to
16 look at how to improve salmon bycatch. And the Council
17 also formed a committee of what is intended to
18 represent tribal members, scientists, industry
19 representatives or other aspects, it's called a working
20 group here, but it is a Council committee. And the
21 nominations for that committee were available on the
22 Council's website and we try to distribute them as
23 broadly as possible. The Council took nominations for
24 that salmon bycatch committee and those members will be
25 nominated within the next week or so and we are hoping
26 to have a preliminary meeting on that committee before
27 the December Council meeting. The idea is that that
28 committee would discuss and make recommendations on the
29 Staff discussion paper on chum salmon bycatch measures
30 as well as evaluate and make recommendations based on
31 the State of Alaska's bycatch task force and the
32 Western Alaska salmon subcommittee and look at current
33 information including local traditional subsistence
34 knowledge and consider additional research to determine
35 what's driving Western Alaska salmon decline.

36

37 Next slide.

38

39 And, finally, the Council indicated its
40 continued prioritization on Bering Sea salmon research
41 supporting that NOAA and ADF&G prioritize developments
42 of models that would help in predicting where and when
43 salmon stocks will be located in the Bering Sea. The
44 ability to predict where they may be located would
45 really help the Council in developing appropriate
46 management measures to focus on avoiding Western Alaska
47 salmon bycatch in the pollock fishery. And the Council
48 also continues to support reducing the time it takes
49 for the genetic analysis to come back. The Council

50

0054

1 would really like to see the previous years genetics,
2 we have that now for chum and the geneticists are
3 working really hard to try to speed up how quickly they
4 could provide the previous years information for chum
5 -- I'm sorry, for chinook as well.

6

7

Next slide.

8

9

10 This is just my final slide in terms of
11 what's next. So in August, again, we had the call for
12 nominations for salmon bycatch committee. The
13 appointments have not yet been made but will be made
14 shortly and the nominees will be the -- the appointees
15 will be notified and then we will try to organize an
16 introductory committee meeting prior to the December
17 meeting. At the December Council meeting then, the
18 Council will review the chum discussion paper and any
19 resulting committee recommendations as well and if the
20 bycatch task force recommendations aren't available
21 prior to that, they will meet afterwards to consider
22 those. Again, we're hoping to have the first meeting
23 of this committee in November and if the task force
24 recommendations are also available we'll review them,
25 if not that'll be in a follow up meeting. The chum
26 discussion paper will be posted to the Council's
27 eAgenda for the December meeting by November 11th.

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

And, Mr. Chair, that's all I have here.
I do have additional slides if you wish to walk through
them. I do also want to note in a separate measure, but
you might be interested, the Council did take a -- the
Council designated a new seat on our advisory panel for
an Alaska Native tribal representative for a recurring
three year term. So this is a new seat, it's the only
designated seat on our advisory panel and the deadline
to apply for that is February 3rd. The information is
on our website. It's important to note that an
individual does not need to be an Alaska Native but
they must be nominated by a tribe and/or a consortia so
they can speak for the tribes or the consortia in order
to be qualified for nomination for that seat.

With that I'll pause for questions and
if you want me to go over additional information I'm
happy to do so.

(Teleconference interference -
participants not muted)

0055

1 ACTING CHAIR NANENG: Any questions
2 from the Council members for Diana Stram. But before
3 we do, welcome James Landlord. So let the record show
4 that James is here. Is there someone online that has a
5 question.

6
7 MR. GUY: Mr. Chairman.

8
9 ACTING CHAIR NANENG: Yeah, go ahead.

10
11 MR. GUY: Yeah, Mr. Chairman, this is
12 George Guy, I am the general manager for Kwethluk,
13 Inc., would this be an appropriate time to give my
14 input on this discussion on the bycatch?

15
16 ACTING CHAIR NANENG: Yeah, go ahead if
17 it's related to the presentation. Go ahead, George.

18
19 MR. GUY: Yeah, Mr. Chairman, thank
20 you. My name is George Guy, I'm the general manager
21 for Kwethluk, Inc., and I just want to make a
22 disclosure that I am the co-Chair for the Alaska
23 bycatch review task force for Western Alaska salmon
24 subcommittee that was -- I was appointed in March of
25 this year for the Alaska bycatch task force meeting.
26 And I do concur with the report on the bycatch issues
27 that were just presented to the Federal Advisory
28 Committee.

29
30 Recently on October 5th we had a --
31 NOAA had a meeting in Bethel regarding the salmon, you
32 know, based on the meetings I came to that meeting
33 representing our firm, Kwethluk, Inc., and the first
34 question I have for the Federal RAC under the bycatch
35 is where is our customary and traditional culture
36 rights under our Title VIII of ANILCA.

37
38 No. 2., would be the chinooks and chums
39 have been dwindling down and now it's cohos that are in
40 the same scenario, now they're declining. And we based
41 on the bycatches out in the Bering Sea and the Gulf of
42 Alaska 532 [sic] chum salmon have been taken along with
43 chinook salmon that are bound for the Yukon and
44 Kuskokwim Delta Rivers along with the Norton Sound.
45 And we're being zeroed in Okay. under the subsistence
46 use program we're being closed off while the commercial
47 industry has been being ongoing, where is the justice
48 for all. One salmon on -- one salmon, under one table,
49 without -- money on one side and subsistence food on
50

0056

1 the other side under one salmon. And under Title VIII
2 of ANILCA we have the right to subsist to feed our
3 families through blood, sweat and tears we try and feed
4 our families. And by all these closures that are
5 impacting the Yukon and Kuskokwim Delta, why aren't
6 they closing the Bering Sea and the Gulf of Alaska for
7 these commercial industries under the State of Alaska
8 and the Federal regime, we've got two regimes under
9 mandate for all renewable resources. And those salmon
10 are supposed to return to their spawning areas whether
11 it be Kuskokwim, Yukon or Norton Sound, they have a
12 rock on their heads that they utilize to navigate to go
13 spawn.

14
15 Where is Katie John case in this
16 scenario where without the right to subsist -- to
17 subsist -- to try to feed our family with salmon, king
18 salmon, chum salmon, red salmon, cohos. They recently
19 closed the cohos and our people are hurting, especially
20 on the Yukon. So don't forget about the Katie John
21 case. And the pollock industry with their bycatch of
22 500,032 chums where the Kuskokwim people hardly have
23 any chums, maybe only 10 per family or less or none.

24
25 And you guys need to look at focusing
26 on that radio active nuclear power plant that exploded
27 four to five years ago, don't forget about that too.

28
29 So to the Title VIII of ANILCA, under
30 ANCSA, where is our subsistence right. Again, we're
31 under two regimes, State of Alaska and the Federal.
32 And we're confused with the two controlling governments
33 that tell us when to fish, how to fish, we don't have
34 no rights while the pollock industry, or these Area M
35 fishers are catching our renewable resources and making
36 money off of our potential resources where we have to
37 feed our families.

38
39 ACTING CHAIR NANENG: George.

40
41 MR. GUY: So I just wanted to.....

42
43 ACTING CHAIR NANENG: George.

44
45 MR. GUY:throw my thoughts in so
46 thank you, Mr. Chairman.

47
48 ACTING CHAIR NANENG: Okay, thank you
49 George. Is there any questions from the Council
50

0057

1 members regarding the presentation by Dr. Stram.

2

3 MR. PARKS: Mr. Chairman, I have a
4 question.

5

6 (Teleconference interference -
7 participants not muted)

8

9 ACTING CHAIR NANENG: If you're online
10 can you please put your phones on mute.

11

12 MR. PARKS: I have a question to Diane.
13 According to the reports here, I have a question, what
14 about reds, have they ever been bycaught or cohos
15 besides kings and chums? That's my question.

16

17 (Teleconference interference -
18 participants not muted)

19

20 MS. STRAM: Hi, this is Diana. I think
21 I understood the question, it was a little hard to hear
22 but you're asking if other salmon species besides chum
23 and chinook are bycaught by the pollock fisheries?

24

25 MR. PARKS: Yeah, I asked what about
26 reds, or cohos, silvers, have they ever been bycaught
27 because I don't see any numbers on our chart here
28 according to your report.

29

30 MS. STRAM: Thanks for that. So
31 technically when we report bycatch in the pollock
32 fishery it's by chinook and by non-chinook, so we tend
33 to just report it as chum because the fleet -- when the
34 overall bycatch in any year, and we've done different
35 analysis of it, it's over -- right now it's over 96.6
36 percent chum. It's been anywhere from 96 to 99.9
37 percent chum so we -- so really on an annual basis it's
38 incredibly rare that you see anything other than chum
39 in that category, it is technically called non-chinook
40 and it includes all the other salmon species but the
41 fleet does not run into any other salmon species other
42 than chum and chinook.

43

44 MR. PARKS: Thank you.

45

46 ACTING CHAIR NANENG: Any other
47 questions from.....

48

49 UNIDENTIFIED VOICE: From Tuntutuliak.

50

0058

1 ACTING CHAIR NANENG: Just a moment,
2 let me get the Council members if they have any
3 questions to ask questions first and then I'll go out
4 to those that are listening.

5
6 Okay, Alissa.

7
8 MS. ROGERS: Thank you, Mr. Chair.
9 Through the Chair. Thank you for your presentation, it
10 was really informative and hearing numbers and what's
11 going on currently, it kind of got me a little
12 flustered.

13
14 First off on your presentation where
15 you're showing trends from the history of 1991 through,
16 was it, 2021, I'm showing that every eight and a half
17 years there was different increases and combinations of
18 actions that were taken in regards to the Council's
19 developments and indications where -- It kind of made
20 me see that was there no -- what is the word that I'm
21 looking for -- was there no monitoring or no
22 repercussions during the times when chum and chinook
23 were being taken.

24
25 And then the second question is, are
26 you showing any -- with the current information that
27 you have from 1991 through 2021, are you showing any
28 types of trend and relationships between trawlers, the
29 timing of fishing, of fish trawling in both A and B
30 seasons in regards to relationship between the decrease
31 of salmon between the three separate rivers. I know
32 you combine the three rivers together but what I'm
33 trying to find out is when those peaks or those times
34 where there's high numbers of bycatch being taken, in
35 relation to the decrease of salmon, chum, coho in the
36 Yukon, Kuskokwim and Unalakleet, have any timing
37 between resulting in the report of lower index of
38 escapement.

39
40 And then the third question is, where
41 do you get your information to determine escapement for
42 trawl fishing in the seasons, is that at the end of the
43 season when we get our escapement numbers each river,
44 or do you guys -- do you have a process or a way of
45 finding out what escapement was done after the fishery,
46 prior to the fish coming in to the three river index.

47
48 Thank you, Mr. Chair.

49
50

0059

1 MS. STRAM: Thank you for the question.
2 I'll try to -- I tried to take notes so I can cover all
3 three of them, I may have to ask for clarification.

4
5 So the first ones, in terms of
6 repercussions over history, what I was trying to show
7 is kind of the way we modify management measures. So
8 the repercussions are that during the area -- and which
9 time area closures were in place, those were triggered
10 and the fleet was moved out of those areas so that the
11 fleet did have to move around, the fleet had to forego
12 catch to get out of those areas. So that was
13 occurring. For a little while it seemed like it was
14 working and then obviously it wasn't working. I mean
15 in general, historically based average, location isn't
16 a great way to manage particularly in the Bering Sea.
17 So that's why the Council kept modifying as the
18 situation kept evolving, the Council then modifying
19 their management measures accordingly. You know we
20 tend to be a little bit crises management, whatever's
21 the biggest crises at the moment is what we're trying
22 to focus on and that's why we moved off of chum back
23 after 2005 because chinook was more of a priority and
24 so the Council moved to chinook and now is trying to
25 readdress management measures for chum.

26
27 In terms of looking at trends, trawling
28 and timing of the bycatch in relation to the three
29 river index, that's not why the three river index was
30 selected. So we look -- particularly in conjunction
31 with Amendment 91 and Amendment 110, the analysis that
32 we did for those and some NPRB (ph) studies that we
33 did, did look at kind of what are the -- what are the
34 causes, are there trends in bycatch, is there any
35 correlation between fishing time, between fishing
36 depth, day and night differences, temperature, and so
37 we studied all of those things and the short answer is
38 that some -- that there is some relation in all of them
39 but none of them was areal smoking gun and so that was
40 why we went with more blunt tools such as a hardcap
41 versus something that might be a little bit more
42 sophisticated.

43
44 In terms of the three river index, the
45 three river index was not selected in relation -- oh,
46 I'm sorry, to talk about the declines.

47
48 So what I didn't go into but in terms
49 of the adult equivalent that we calculate, and, again,
50

0060

1 we're forced to calculate that in aggregate for the
2 Coastal West Alaska so it's all the rivers of Western
3 Alaska with the exception of the upper Yukon so we do
4 a separate adult equivalent for the upper Yukon that we
5 do from Coastal West Alaska and because of the age of
6 the bycatch in the pollock fishery -- so when they
7 catch chinook in the pollock fishery those chinook
8 range from three to seven years old and the majority of
9 them are around four to five years old and so we use
10 the -- we know that some proportion of all those fish
11 are coming back to river systems in Western Alaska
12 annually but not all of them would have returned in
13 that year so what that means is that in a high year
14 like 2007 you have 120,000 fish that were caught but
15 not all of them would have returned to a river system
16 in that year so the overall impact in aggregate is less
17 but it promulgates forward so in years, even if you had
18 no bycatch in the year after 2007 you would still feel
19 the impacts of that bycatch from 2007 because a lot of
20 those fish would have matured over the next several
21 years. So the impact of those high years really
22 promulgates forward and then you still feel it
23 regardless of what the impact is -- what the bycatch is
24 in a subsequent year.

25
26 Leading then to the three river index,
27 we were just trying to look for something that we could
28 use as an overall threshold of Western Alaska chinook
29 abundance. So we looked at a variety of different
30 aggregations of river systems. For awhile we included
31 the Nushagak in there and we were trying to make it
32 river systems that tended to trend up and down together
33 so that they would be an accurate representation. When
34 we included the Nushagak in there it kind of swamped
35 the signal that the Nushagak was trending separately
36 from the other three and so we chose those three
37 because they trended together and we thought that those
38 as an overall index would represent the best indication
39 of whether or not conditions were good or bad, so not
40 related to bycatch at all, but related to how the
41 trends in those river systems were.

42
43 In order to get the information for
44 that index, ADF&G compiles that. It's the post-season
45 in-river chinook salmon run size. So they compile that
46 over the summer based on information they had in that
47 -- and that index -- the sum of those are presented in
48 a letter to the Council every October. And, again, in
49 doing analysis with ADF&G for Amendment 110 we looked
50

0061

1 at different aspects of when run size is available and
2 whether or not there would be major changes that would
3 indicate a different aspect and so this seemed to be
4 the most reliable and recommended by ADF&G as
5 representing the best information possible.

6
7 And I'm sorry I didn't get a handle on
8 what your third question was about escapement numbers
9 if you could just repeat that.

10

11 MS. ROGERS: Thank you, Mr. Chair.
12 Through the Chair, thank you. Is there any indication
13 in the post season report that you get from ADF&G where
14 it indicates that there was heavy restrictions to
15 practically no fishing at all and the fact that our
16 subsistence harvest numbers over the past 20 to 40
17 years now have decreased significantly anywhere between
18 58 to 95 percent of our normal harvest that we usually
19 take, does that play any effect into your cap? Your
20 bycatch cap?

21

22 Thank you.

23

24 MS. STRAM: Okay, thanks for that. I'm
25 sorry I didn't get all that the first time.

26

27 So yes and no.

28

29 So in the development of Amendment 110
30 that was considered and when we looked at those -- what
31 we looked at was the cluster of the -- adult equivalent
32 for the river system in conjunction with year sets and
33 so they tended to cluster above and below 250,000 fish
34 and when you're below 250,000 fish those river systems
35 -- that was also associated with a number of
36 subsistence and commercial restrictions so that was
37 part of the justification for choosing that threshold
38 as a high and a low year in terms of abundance.

39

40 On an annual basis when we get the
41 letter, no, we just get the letter indicating whether
42 or not we're above or below 250,000.

43

44 When we do a management analysis and --
45 which we seem to be moving towards possibly, we do
46 include all that information in the analysis that goes
47 to the Council in terms of evaluating the likely
48 impacts of their actions and the past historical
49 impacts but in terms of the actual letter from ADF&G,
50

0062

1 no, but it did go into the consideration of the
2 analysis of Amendment 110.

3

4 I believe that answers your question.

5

6 ACTING CHAIR NANENG: Any more
7 questions from the Council members.

8

9 (No comments)

10

11 ACTING CHAIR NANENG: If not we'll go
12 to the village first, Tim, and then we'll get back to
13 -- if you're calling from Tuntutuliak, if you have a
14 question we'll go ahead and recognize you.

15

16 UNIDENTIFIED VOICE: Hello, this is
17 (Indiscernible) Tuntutuliak.

18

19 ACTING CHAIR NANENG: Yeah, go ahead.

20

21 UNIDENTIFIED VOICE: Yes, my name is
22 (Indiscernible) from Tuntutuliak and I've been
23 representing Tuntutuliak in the Kuskokwim River
24 InterTribal Fish Commission for several years. Our
25 concern was -- we didn't join the Commission but we
26 finally joined the Commission because as chinooks are
27 low, that's when we (indiscernible - breaking up) we
28 teach our fellow tribal members the size of the fish,
29 large, medium, small and chinook -- I mean jacks -- we
30 told them that the bigger the fish the more eggs you
31 have so they will have them swimming up river to
32 headwaters and couple years later they will come back
33 in abundance. We followed the restrictions throughout
34 the season and worked with the Fish and Wildlife and
35 Fish and Game. And then along the way we came into
36 (indiscernible - distortion) the month of June we
37 conserve chinook, month of July conserve chum, but go
38 for target the red salmon and this year somehow we
39 didn't get the Covid notice but the silver salmon was
40 in the -- we didn't fish, it was closed to September
41 30th and we were (indiscernible - distortion) it was
42 open September 15th (indiscernible - distortion) but in
43 those years the conversation, we didn't know the amount
44 of trawlers and then down there catching chinooks and
45 chums and what she reported there.

46

47 But before further going on, I'm very
48 happy the tribal committee to discuss the bycatch. The
49 tribal committees when they sit down they will have

50

0063

1 traditional knowledge and value and not -- scientists
2 methods to (indiscernible - distortion) methods can be
3 used.

4
5 My method in springtime when chinooks
6 are going to be abandoned, my science must
7 (indiscernible) they always come and bite while I'm
8 going -- I'm going hunting and I say, yeah, chinooks
9 are coming and -- and at the chum -- they take longer,
10 they are low, much reduced and we say, yes, some
11 of.....

12
13 ACTING CHAIR NANENG: I hate to
14 interrupt, do you have a question.....

15
16 UNIDENTIFIED VOICE:but those
17 bycatch.....

18
19 ACTING CHAIR NANENG:in regard to
20 -- Sir -- Sir.....

21
22 UNIDENTIFIED VOICE:task force,
23 they finally.....

24
25 ACTING CHAIR NANENG: Hello.

26
27 UNIDENTIFIED VOICE:realized that
28 those bycatchers need my traditional knowledge --
29 they're catching too much. And -- but we like to see
30 them cut down, decrease their bycatch to absolute zero.
31 You know fishing.....

32
33 ACTING CHAIR NANENG: (In Yup'ik)

34
35 UNIDENTIFIED VOICE: (Indiscernible -
36 distortion) things will be coming down but we're going
37 to be starving and we'll be gone here along the
38 Kuskokwim River if we don't hang anymore fish.

39
40 Quyana.

41
42 (In Yup'ik)

43
44 UNIDENTIFIED VOICE: How many tribal --
45 how many tribal committee members will there be, ma'am?

46
47 MS. STRAM: Thank you for that. I
48 don't know yet because the committee itself hasn't been
49 named. The committee's intended to be comprised of
50

0064

1 representatives from up and down the river systems but
2 also contain some members of the pollock industry as
3 well as additional members that have been nominated.
4 So because we haven't seen the appointment list yet I
5 can't answer that, I'm hoping that we'll be able to
6 announce that within the next week. The scientists and
7 Staff will not be on the committee itself, they'll be
8 there to assist the committee in their discussions and
9 deliberations. And as I understand it there will be
10 co-chairs that will both be members of the North
11 Pacific Council that will co-chair the committee. So
12 we should know soon but I apologize that I can't answer
13 that yet.

14
15 ACTING CHAIR NANENG: Okay, thank you.
16 Tim, do you have a question.

17
18 UNIDENTIFIED VOICE: Okay, thank you.

19
20 UNIDENTIFIED VOICE: Mr. Chair.

21
22 MR. ANDREW: Mr. Chairman, thank you
23 for allowing me to ask questions. It's not very often
24 we get the opportunity that subsistence users and
25 public to ask questions on issues like on bycatch
26 issues from Council's Staff. Thank you, Dr. Stram for
27 your presentation, we really appreciate the time you
28 took to provide us the information out here at the RAC
29 meeting.

30
31 The question I had was one of your
32 slides indicated that AEQ, you're able to establish AEQ
33 for chinook salmon on it's potential impacts on the
34 runs on various chinook salmon stock, and I was just
35 wondering about the chum salmon or other salmon species
36 and why there is no established protocol for
37 determining AEQ on those stocks, do they -- is that
38 something in the works that the Staff are doing, or is
39 there a need for direction for that to go forward.

40
41 MS. STRAM: Thank you for the question.
42 It's a great question and one that we also discussed at
43 the June meeting.

44
45 So there's a couple of answers to it.
46 One, we can do an AEQ for chum, we have the necessary
47 information, it's not -- it would be -- it would be
48 more of a course estimate. Some of the information
49 that we need to do the AEQ includes information on
50

0065

1 maturity rates by river system and again you're talking
2 about across all of Western Alaska so when we did it
3 for chinook we had pretty good information for a number
4 of rivers and off of the top of my head I think the
5 average majority rate that we used was driven largely
6 by the Kuskokwim and the information we had there. We
7 revised that more recently for more updated
8 information. We have less -- less reliable -- less
9 information for chum on that but we do have some
10 estimates that we could make and some assumptions we
11 could make as similarly for natural mortality rates.
12 So we can do an AEQ for chum and, in fact, we did do
13 one back in 2012. What we have trouble doing is taking
14 that adult equivalency for chums -- so we can tell you
15 how many chums would have returned in aggregate over
16 that timeframe, what we can't do is the impact rates,
17 so what we did for the Western Alaska stocks, for
18 chinook, and then for the upper Yukon separately, is we
19 got an aggregate run size from ADF&G for all the
20 chinook stocks in Western Alaska that compromised that
21 group as well as the run size for the upper Yukon and
22 using that we can divide that out so we can come up
23 with an impact rate that would give you basically what
24 percent per year would have more, would have returned
25 had you not had that bycatch. And so that's what we
26 report out. For chum that becomes more complicated
27 because the run reconstructions are only available for
28 a subset of those rivers and not very many -- I believe
29 that the Yukon summer and fall, Quiniak -- and so
30 there's a lot of large populations like the Kuskokwim,
31 throughout Bristol Bay, Kotzebue and Norton Sound that
32 wouldn't be representative in that so it would be a
33 very large underestimate of it.

34
35 So we had discussions per the Council's
36 request. We met with State and agency Staff to discuss
37 what could we do. We could do an impact rate for Yukon
38 fall chum, but the concern there would be that that --
39 while that's possible it might not reflect the trends
40 across all Western Alaska stock so what we're trying to
41 figure out is what's the best way to provide
42 information on the impacts to chum stocks besides doing
43 an AEQ and impact (indiscernible - distortion) so we're
44 still really looking at that because we don't want to
45 provide something that's not useful or could be
46 misconstrued. And so it really has to do with
47 information availability. We're comfortable with the
48 information we have available for chinook,
49 understanding that those things are still -- that's
50

0066

1 still really an aggregate it's not telling you anything
2 specific to an individual -- not to the Kuskokwim
3 individually, or to the Yukon individually.

4
5 So that's basically the reason why --
6 we can do the AEQ part for chum, we can't take it
7 further than that so then the question basically is
8 would that be -- would a coarse estimate be useful, it
9 might be useful and we can do it now with the
10 information we have available, we have really good age
11 information for the age of the chum in the bycatch we
12 just have to make assumptions about some of the other
13 calculations.

14
15 Hopefully that gets to your question.
16 It's a great question and one that we're still
17 exploring as we move forward this year.

18
19 MR. ANDREW: Okay, thank you, Dr.
20 Stram. I forgot to mention my name for the record,
21 Timothy Andrew, subsistence user.

22
23 ACTING CHAIR NANENG: Quyana, Tim. I
24 think for everyone's information that's sitting in this
25 room, the Yukon and the Kuskokwim River both have
26 chinook salmon, they both have summer chums, however on
27 the Yukon we have what they call fall chums that they
28 say is fall chums beginning on July 15th of each year,
29 or each summer. From what I know there's very little
30 sockeye on the Yukon but they do have coho. In the
31 summer, you know, the Kuskokwim River had quite a
32 number of sockeye coming back into the river and a lot
33 of people were able to harvest some of them but on the
34 Yukon, the whole salmon species were all closed to
35 September, they were restricted and not able to fish,
36 so I do believe that the North Pacific Fishery
37 Management Council really has a job to do to make sure
38 that they identify each of the salmon stocks that go
39 into these rivers to spawn. Because when we say chum
40 salmon, for the Yukon we know we're talking about both
41 summer and fall chums. So we got to keep in mind that
42 North Pacific Fishery Management Council should include
43 what Henry Parks asked, are they having an impact on
44 coho, are they having an impact on sockeye because for
45 many people on the river system like here in the
46 Kuskokwim, if they can't get any chinook salmon they
47 look forward to the coho during the falltime to replace
48 that. Similarly, up on the Yukon too.

49
50

0067

1 I've observed that over the years
2 fishing on both rivers.

3
4 So I hope that the North Pacific
5 Fishery Management Council identifies those stock
6 species and do a genetic study on each and every one of
7 those species and where they return.

8
9 They have to. Because when all fishing
10 is closed and you can't even fish any of the stocks or
11 species that come into the river system, we're losing
12 our subsistence food. We're losing our opportunity to
13 put food on the table.

14
15 So, Dr. Stram, I appreciate your report
16 but I think that the North Pacific Fishery Management
17 Council has to work to identify all the salmon stocks
18 that go into the river system as well as to the other
19 spawning grounds in Western Alaska that are impacted by
20 the bycatch, by the trawl fleet.

21
22 So that's just my comment regarding
23 your report so I thank you for your report and I do
24 believe we need to go on to the next agenda item.

25
26 My final question is, are you going to
27 ask North Pacific Fishery Management Council to start
28 putting on stock identification of all the salmon
29 species that go into the river systems?

30
31 MS. STRAM: Thank you for that. We do
32 -- we can identify genetically the fall chum on the
33 Yukon. So that is a separate genetic breakout. It's
34 my understanding that we have no ability to identify
35 sockeye or coho because we don't catch them in the
36 bycatch so they aren't sampled genetically because
37 they're not present. So -- but just to be clear in
38 case I wasn't, and I apologize if so, the fall chum is
39 a separate genetic group so that one is identified
40 separately. So those are the breakouts that we have
41 from the geneticists. And in an ideal world, and we're
42 hoping to improve on those so we can break out more
43 river systems so that you could break out different
44 river systems separately so you're not stuck with that
45 giant aggregate.

46
47 But I appreciate your comments and I
48 thank you all for the opportunity and we will continue
49 to participate in the RAC meetings any time we're
50

0068

1 requested to to the best of our ability. So thank you
2 and I'll make sure that your Coordinator has the
3 information to participate or comment in December as
4 well.

5

6 Thank you, very much.

7

8 ACTING CHAIR NANENG: Okay, thank you,
9 Dr. Stram. We'll go on to the next item on the agenda
10 and it's public and tribal comments on non-agenda
11 items.

12

13 MS. MCDAVID: This is Brooke McDavid,
14 Council Coordinator for the record. I just wanted to
15 make a quick housekeeping announcement before we go
16 into public comments. If there's anyone that wasn't in
17 the room earlier please make sure that you sign in on
18 the sign-in sheet by the door. And perhaps if there's
19 anyone on the phone that did not identify themselves
20 earlier if you could just please tell us your name and
21 where you're from.

22

23 ACTING CHAIR NANENG: And also if there
24 is public comments and tribal representatives making
25 comments we'll put a time limit on there so watching
26 the debate last night, it started from two minute
27 comments down to 30 seconds and we might end up with 15
28 seconds but I don't want to go that far.

29

30 (Laughter)

31

32 ACTING CHAIR NANENG: We'll give
33 everyone an opportunity to at least make comment, at
34 least three minutes and I'll ask Brooke to be the
35 timekeeper.

36

37 MS. MCDAVID: Thank you, Mr. Chair.
38 And just so everyone is reminded we do have an
39 opportunity tomorrow morning also for public comments
40 on non-agenda items so if you want to wait and give
41 your comment tomorrow you'd be welcome to do that as
42 well.

43

44 Thank you.

45

46 ACTING CHAIR NANENG: Okay. Tim.
47 Identify yourself when you begin okay.

48

49 MR. ANDREW: Yeah, for the record my

50

0069

1 name is Kamguk, K-A-M-G-U-K. Like I indicated earlier
2 Timothy Andrew is my taxpayer name. As I listened to
3 all the Council reports earlier, all of you indicated
4 that there is some restriction, somewhere around
5 various species that we depend on in the area, from
6 caribou to salmon to all the different species that we
7 go out and harvest and utilize for our subsistence
8 uses. Before I carry on and hopefully I stay within
9 this three minutes, something very -- something very
10 hopeful has arrived over the horizon as far as us.

11

12 Our subsistence use on the various
13 resources.

14

15 Just a few days ago, or a day ago there
16 was indication that a small group of people had filed
17 suit on the State of Alaska and the case is Forrer
18 versus the State of Alaska, et al., and the like. And
19 what this group is alleging is that the State of Alaska
20 is derelict in their duty to provide for sustained
21 yield on the various resources in the state of Alaska.
22 It's fairly new so -- you know I'm not an attorney but
23 just looking at the name of the lawsuit and the purpose
24 of the lawsuit, it has far reaching potential effects
25 upon the resources that we depend on, like for salmon.
26 Our Yukon River salmon, they're absolutely non-existent
27 at the moment. Kuskokwim River is basically moving in
28 that direction. Nome and even the Unalakleet River are
29 already there. The Department of Fish and Game has not
30 provided for sustained yield for the resources for
31 continued viability. And same way with the Mulchatna
32 Caribou Herd. We've seen that caribou herd drop from
33 over 200,000 in 1996 down to less than 12,000 that we
34 have today. You know, clearly the animals that we
35 depend on are not being managed for sustained yield,
36 but for some other purpose other than for the continued
37 viability of the species and for our subsistence uses.

38

39 And we also have on the Yukon River as
40 Norma had indicated earlier, the return of the Arctic
41 lamprey. And I see that my nephew James is here and
42 I'm glad to see that he's here to listen. But for a
43 number of years we've seen that species come in very
44 high, back in the early 1970s and 1980s, as far as I'm
45 aware, but it was until mid-1980s it started going up
46 and down, maybe we'd hit or miss them and then in the
47 1990s those runs started going way up high, way up low,
48 way up high, way up low, and then in more recent years
49 they're basically non-existent. These are an

50

0070

1 anadromous species that spawn and are in fresh water
2 for awhile, they go out into the ocean to mature and
3 then they return when they're supposed to return. The
4 Federal of Alaska has absolutely no information on/or
5 very little, or no information on these species, a very
6 subsistence species for the people of the Lower Yukon.

7
8 And several years ago, not several
9 years ago it must have been about seven, eight years
10 ago, if it's that, Alissa and I submitted a proposal to
11 the Board of Game about the ptarmigan that we had i the
12 area, we were starting to see this again with the
13 ptarmigan and we had some weather anomalies that were
14 occurring and questions were raised about where do
15 these ptarmigans nest, where's their principle nesting
16 areas, where they summer, the State of Alaska did not
17 have any information on them.

18
19 There's a lot of things that the State
20 does not have any information on. Blackfish, something
21 that's really really important to us and the people in
22 our villages, whitefish is another species. I see work
23 being done on humpback in various places. Lush fish,
24 or burbot. There's a lot of resident species that we
25 really need attention -- really need to establish
26 baseline information and research before we get into a
27 situation that we're facing today with our salmon on
28 both Yukon and Kuskokwim River. At least establish the
29 baseline information, get the research ball going
30 whoever we can get possibly to do that, it would
31 greatly affect how we make our decisions now and also
32 in the future. Because going at this with a shot in
33 the dark type of process it's not doing the resources
34 any good, it's not doing us any good, it's not doing
35 you any good as people that make recommendations to the
36 Federal Subsistence Board.

37
38 There's a lot of data gaps and what not
39 in different research projects but they're -- and those
40 data gaps need to be closed.

41
42 Thank you, Mr. Chair.

43
44 And, thank you, Brooke.

45
46 ACTING CHAIR NANENG: Questions of Tim.

47
48 (No comments)

49
50

0071

1 ACTING CHAIR NANENG: Any others from
2 public or online. All right, Serena.

3
4 MS. FITKA: Hi, thank you. For the
5 record my name is Serena Fitka, I'm the Executive
6 Director for the Yukon River Drainage Fisheries
7 Association. And I would just like to talk about the
8 Board of Fish Proposal 140 that's going to be coming
9 through and it is the South Umiak and Shumigan Islands
10 June salmon fishery management plan.

11
12 Gale Vick, she sits with the Fairbanks
13 Advisory salmon subcommittee and she wasn't able to
14 present the proposal so she asked me to provide some
15 highlights and also ask the YK Regional Advisory
16 Council for a letter of support.

17
18 So this Proposal 140, the South Umiak
19 and Shumigan Island June fishery harvest both chinook
20 salmon, sockeye and chum salmon in a mixed stock
21 fishery. These stocks are salmon -- of salmon are
22 bound for Bristol Bay and the Arctic Yukon Kuskokwim
23 region as well as other areas across the North Pacific
24 Ocean. These salmon stocks have historically been
25 intercepted in significant numbers along the Alaska
26 Peninsula. To ensure that none of these salmon stocks
27 are overharvested, it is necessary to restrain the
28 interception of these stocks as provided in the
29 management plan in this section and consists with the
30 policies for the management of sustainable salmon
31 fisheries.

32
33 So the proposal does outline a
34 management plan to reduce the harvest, the commercial
35 harvest of salmon. I provided copies in the back. It
36 is, I believe the Western and Eastern Interior RACs
37 provided a support letter for this proposal to the
38 Board of Fisheries so we're asking for a support letter
39 from the YK Regional Advisory Council to support
40 Proposal 140.

41
42 MS. MCDAVID: Thank you, Serena. I just
43 wanted to let Council members know that we do have an
44 item on the agenda under new business to take up any
45 Board of Fish proposals that the Council might be
46 interested in so when we get to that agenda item we
47 could revisit the Proposal 140 and you all could decide
48 if you would like to take that up and support it or
49 not.

50

0072

1 Thank you.

2

3 MS. FITKA: Okay, thank you.

4

5 ACTING CHAIR NANENG: Quyana. Anybody
6 else.

7

8 (No comments)

9

10 ACTING CHAIR NANENG: Anyone online
11 want to make comment.

12

13 (No comments)

14

15 ACTING CHAIR NANENG: Okay. If there's
16 no other comments I think there's opportunity again
17 tomorrow for more public comments. Let's take a 10
18 minute break.

19

20 (Off record)

21

22 (On record)

23

24 ACTING CHAIR NANENG: We'll go ahead
25 and call the meeting back to order again. I asked
26 James to give a report on his village but he said he'd
27 rather do it in the morning, okay, so following the
28 agenda we'll go on down to Item 10, old business. And
29 under new business -- or old business we have .805(c)
30 report summary by the Council Coordinator.

31

32 Brooke.

33

34 MS. MCDAVID: Thank you, Mr. Chair. So
35 I'm going to present the Council with a brief overview
36 of your .805(c) report. This is not an action item.
37 On Page 20 of your meeting books you will find the
38 cover letter for the .805(c) report, that's Page 20.
39 And just as a reminder, the .805(c) report is meant to
40 give you a summary of the actions that the Board took
41 at their last regulatory meeting and that meeting was a
42 wildlife regulatory meeting that was held in April.

43

44 So I'll just summarize what's in the
45 report. There were two proposals that appeared on the
46 consensus agenda at that April wildlife Board meeting
47 and the Board adopted your Council's recommendations
48 for both of those proposals. That was WP22-42, which
49 increased the moose harvest limit in Unit 18Remainder

50

0073

1 to three moose. And the Board rejected WP22-43 which
2 requested delegating authority to the Federal in-season
3 manager to increase the moose harvest quota in Zone 1
4 of the Kuskokwim hunt area of Unit 18 if the water
5 levels are too low to access Zone 2.

6
7 So the Board agreed with your Council's
8 recommendations on both of those.

9
10 There were six remaining wildlife
11 proposals for your region that appeared on the non-
12 consensus agenda. And for five of those proposals the
13 Board adopted -- or took action consistent with your
14 recommendations.

15
16 They adopted two statewide proposals,
17 WP22-01 and 02. Those proposals clarified community
18 harvest system regulations.

19
20 The Board also adopted WP22-41 which
21 delegated authority to the Togiak National Wildlife
22 Refuge Manager for in-season management of Mulchatna
23 caribou.

24
25 The Board adopted, with modification,
26 WP22-44 which extended the fall moose season in the
27 Kuskokwim hunt area of Unit 18 to October 15th and also
28 established a may be announced winter season with a
29 harvest limit of one antlered bull by Federal
30 registration permit.

31
32 The Board also adopted with
33 modification WP22-45 which created specific harvest
34 regulations for Alaska hare including shortening the
35 season to August 1st through May 31st and modifying the
36 definition of hare.

37
38 For one proposal the Board's actions
39 differed from your Council's recommendations and that
40 was WP22-47, which sought to allow the calf harvest of
41 caribou in Unit 22. The Board's action on this
42 proposal is explained in more detail in the .805(c)
43 report and that's on Page 23. So your Council
44 supported the proposal but the Board ended up rejecting
45 it and their justification was because the WACH
46 management program, the Western Arctic Caribou Herd
47 management plan -- sorry -- recommends the prohibition
48 of calf harvest when the herd is under preservative
49 management, which they currently are. So the Board
50

0074

1 thought that it was a good idea to stick to the
2 management plan.

3
4 Thank you, Mr. Chair. That concludes
5 my report. I will take any questions that the Council
6 members have. Thank you.

7
8 ACTING CHAIR NANENG: Any questions
9 from the Council members.

10
11 (No comments)

12
13 ACTING CHAIR NANENG: If not we'll go
14 on to the next agenda item and that's the Board FY2020
15 annual report replies.

16
17 Brooke.

18
19 MS. MCDAVID: All right, that's me
20 again. So you all have a copy of the annual report
21 reply for FY2021 from the Board in your meeting book
22 and that starts on Page 24. I'll just quickly go
23 through each item and give a real brief update. When
24 you have a chance, hopefully you can take the time to
25 read through the whole replies.

26
27 But to start, the Board wants to let
28 you know that they appreciate your effort to
29 communicate through your annual report on issues
30 outside of the regulatory process that affects
31 subsistence users in your region. In FY21 there were
32 three topics of concern in your Councils annual report.

33
34 Board members and OSM Staff read your
35 topics of concerns and discussed them during the summer
36 2020 work session of the Board.

37
38 So just to go through each of the
39 topics real quick.

40
41 The first one was concerns about Donlin
42 Mine impacts to subsistence. And we did arrange to
43 have representatives from Donlin give a presentation
44 later in the meeting. They're going to talk to us
45 about barging impacts, the rainbow smolt studies
46 they're doing and also how to get involved on the
47 subsistence community advisory committee.

48
49 The second topic was a request for more
50

0075

1 whitefish monitoring. And Frank Harris from Fish and
2 Wildlife Service will be giving us a report about a
3 whitefish study that he is currently conducting and
4 that was funded through the FRMP Program. In the
5 Board's reply they highlighted all of the research that
6 has been funded through the FRMP program about
7 whitefish and that list is on Page 40. It's at the end
8 of the reply.

9
10 Okay. Topic No. 3 was about sockeye
11 salmon and your Council asked the question does sockeye
12 salmon abundance affect other salmon species. And our
13 Fisheries Staff provided some great detailed
14 information in the reply and that begins on Page 27.
15 But to summarize, increased abundance of sockeye may
16 impact other species to some extent but each species of
17 salmon has unique life history strategies and so they
18 aren't necessarily competing for the same habitat and
19 same prey at the same time. However, they also note
20 this is definitely a topic worth further research and
21 also attached at the end of the reply is a list of all
22 the sockeye salmon research projects funded through the
23 FRMP program.

24
25 No. 4 the topic of concern was record
26 low salmon runs on the Yukon and Kuskokwim. The Board
27 just wanted you to know that they recognize the
28 severity of this issue and how it impacts both food and
29 culture in your communities. And we will have several
30 salmon reports later in the meeting where you'll have
31 the opportunity to ask questions and receive updates
32 from management Staff.

33
34 Topic No. 5 was about Bering Sea
35 bycatch and Area M intercept fisheries. We already
36 heard the presentation from Dr. Stram from North
37 Pacific Fishery Management Council earlier. And as you
38 recall, the Council, at the last meeting made a motion
39 to write letters to both the North Pacific Fishery
40 Management Council and to the Board about Bering Sea
41 bycatch. The Board received and acted upon the Joint
42 Council letter and I'll present some more details about
43 that in the next agenda item which is the Council
44 correspondence update. But for now just note that the
45 Board did elevate and forward your concerns.

46
47 Still on reply topic No. 5 regarding
48 Area M, or the Alaska Peninsula intercept fishery.
49 ADF&G Staff from that region were not able to give an
50

0076

1 update on Area M at this meeting but Fish and Game did
2 provide a really nice detailed handout that has
3 information on the Alaska Peninsula fishery and I will
4 pass that out to you guys when I'm done with the
5 update. There's also some copies on the back table
6 there.

7

8 A couple small things to note, Fish and
9 Game did begin a multi-year chum salmon stock
10 composition assessment project this summer and took
11 genetic samples of commercially harvested chum salmon
12 and this will build on the previous WASSIP study that
13 took place between 2007 and 2009.

14

15 Something else to note about Alaska
16 Peninsula intercept fishery, like we heard from Serena,
17 the Board of Fish will be meeting for this area, that
18 meeting is going to be in February and your Council as
19 well as several other organizations, including
20 Kuskokwim InterTribal Fish Commission, ONC, TCC,
21 Fairbanks Advisory Committee all put in proposals
22 suggesting changes to the management plan for that
23 region. So we will have the chance to talk about some
24 of those proposals if the Council wishes later on in
25 the agenda.

26

27 Reply Topic No. 6 was Mulchatna caribou
28 declines and just as a reminder the Federal season has
29 been closed for the past two regulatory years and we
30 will have Staff from Togiak Refuge giving an update to
31 the Council later in the meeting and they'll be able to
32 answer any questions you have about the herd status.

33

34 Topic 7 was a request to increase moose
35 harvest opportunity in the lower Yukon and as I just
36 mentioned in the .805(c) report, the Board did approve
37 wildlife proposal at their April meeting to increase
38 moose harvest in Unit 18Remainder from two to three
39 moose. Under this report topic the Council also
40 brought up the need for designated hunter permit
41 distribution and the issuance of these permits,
42 unfortunately, it can't be delegated to community or
43 tribal representatives but at the request of
44 communities, Yukon Delta Staff or OSM Staff may be able
45 to arrange to travel to communities to issue those
46 permits. But they just have to receive a request.

47

48 And then finally the last topic of your
49 annual report for last year was a request for
50

0077

1 information about Snowy Owls and we will have a
2 biologist from Fish and Wildlife Service online
3 tomorrow, Steve Lewis, he's going to give a
4 presentation about Snowy Owls and he's happy to answer
5 your questions and he'd love to hear your observations
6 about Snow Owls.

7

8 So that's all I have for updates
9 regarding your annual report topics from last year.
10 Again, the Federal Subsistence Board really wants to
11 thank your Council for your continued involvement
12 regarding subsistence matters and representing users of
13 the Yukon Delta region.

14

15 That concludes my summary, Mr. Chair,
16 thank you.

17

18 ACTING CHAIR NANENG: Thank you,
19 Brooke. Any questions from the Advisory Council
20 members.

21

22 (No comments)

23

24 ACTING CHAIR NANENG: No questions
25 sound like.

26

27 (No comments)

28

29 ACTING CHAIR NANENG: Okay.

30

31 MS. MCDAVID: Thank you, Mr. Chair.
32 One more update from me. I wanted to give you guys an
33 update about two letters that you sent to the Board
34 after your last meeting.

35

36 The first letter was about Council
37 member reimbursement that you might have incurred
38 during the teleconference meetings held during the
39 pandemic. And if you turn to Page 41 of your meeting
40 books you'll find the Board's reply to your letter.
41 And just to summarize, OSM reviewed policies on
42 reimbursement and found that Council members can only
43 be reimbursed for internet and phone charges for those
44 meetings, that would be in excess or greater than your
45 normal charges. So like if you had to buy extra
46 minutes or extra data to call in to those meetings and
47 participate we could reimburse you for that. We would
48 just need a copy of your bill that showed those
49 increased charges for the meeting. And you could just
50

0078

1 send that to your Coordinator, if you still have access
2 to any bills from the last meeting that was held via
3 teleconference you could send those in or if we ever
4 have to hold a meeting in the future via teleconference
5 just keep that in mind that you could turn in those
6 extra charges.

7

8 ACTING CHAIR NANENG: Any questions
9 from the Board -- Council.

10

11 (No comments)

12

13 ACTING CHAIR NANENG: I only have one
14 comment, every month with us living here in Bethel, it
15 doesn't happen in urban areas but in Bethel, we're only
16 given a certain amount of data by GCI. For some of us
17 the data starts on the 5th of each month and if you
18 have kids that are on the internet with their iPads and
19 even phones to play games, your data is all gone by the
20 20th of the month, so you end up having to buy buckets.
21 Maybe I sent my \$10 buck bucket charge to Fish and Wild
22 -- no, just kidding.

23

24 (Laughter)

25

26 ACTING CHAIR NANENG: But you end up
27 buying buckets to add to your data and that doesn't
28 last long if you have kids that love to play games on
29 their iPads or the phone, that bucket can last only a
30 couple of days. So I just wanted to explain that
31 because we don't have the luxury of having unlimited
32 internet out here in Bethel and in the villages.

33

34 Yeah, go ahead.

35

36 MS. ROGERS: Thank you, Mr. Chair.
37 Through the Chair. It's quiet, is it.....

38

39 REPORTER: We've lost the speakers
40 so.....

41

42 MS. ROGERS: So just speak loud pretty
43 much.

44

45 (Laughter)

46

47 MS. ROGERS: Thank you, Mr. Chair.
48 Through the Chair. I was wondering if we could ask
49 Brooke to get us a list of all the meeting dates, time,
50

0079

1 and all that information passed out to all of our
2 Council members so they can bring that information to
3 GCI. GCI will reissue all those bills in regards to
4 those dates and then we could just forward them on, and
5 possibly contact information so that we could get that
6 to you.

7

8 MS. MCDAVID: Thank you, Alissa.
9 That's something I can definitely do and I'd be happy
10 to send that to you guys.

11

12 REPORTER: We need a break, just for a
13 couple of minutes hopefully.

14

15 ACTING CHAIR NANENG: Okay.

16

17 REPORTER: We have no speakers, that's
18 why it's so quiet.

19

20 ACTING CHAIR NANENG: Okay.

21

22 (Off record)

23

24 (On record)

25

26 ACTING CHAIR NANENG: We'll go back to
27 the agenda item D, special action review for -- go
28 ahead.

29

30 MS. MCDAVID: I wasn't quite finished.

31

32 ACTING CHAIR NANENG: Oh, you're not
33 finished yet.

34

35 MS. MCDAVID: No, sorry.

36

37 ACTING CHAIR NANENG: Sorry, I thought
38 you were. Okay, go ahead.

39

40 MS. MCDAVID: Thank you, Mr. Chair. So
41 I had an update for you guys about two letters, that
42 was the first letter that you wrote to the Board about
43 the meeting expenses.

44

45 The second letter I wanted to update
46 you on was the Joint Council Letter to the Board from
47 the four Yukon region RACs regarding salmon bycatch in
48 the Bering Sea. So the Board actually had me come to
49 their work session in July and present about this issue

50

0080

1 and present the letter and the request that your
2 Councils made. And at that meeting the Board voted to
3 elevate the Joint Council's concerns to the Secretaries
4 of Interior and Agriculture. The letter sent by the
5 Board to the Secretaries wasn't available in time to
6 make it into your meeting book but it was included in
7 your supplemental materials. Those were mailed to you
8 with your itinerary and such in the priority mail
9 envelope. We have more copies if you didn't bring that
10 with you. But that was Tab 1 of your supplemental
11 materials if you have them.

12

13 So in the letter to the Secretaries,
14 the Board relayed the concerns and the requests made by
15 the Joint Councils to lower the bycatch for chinook
16 salmon, to implement chum salmon hardcaps and to add a
17 subsistence or tribal representative seat to the North
18 Pacific Fishery Management Council. And in addition to
19 passing on your requests, the Board included the
20 following from the letter -- in the letter on Page 2
21 and I'm just going to read you a short paragraph
22 because I think it's worth reading. So the Board
23 states:

24

25 Many Alaskans, including the Councils
26 have opined that it is inequitable for commercial
27 fishers in marine waters to harvest salmon bound for
28 AYK drainages when subsistence fishing in those river
29 systems by those who need it most is completely or
30 severely restricted. Accordingly, the Board
31 respectfully requests for you to liaise with the
32 Department of Commerce to explore engagement and
33 relationship building between our agencies with the
34 goal of addressing salmon migratory life cycles and
35 bycatch holistically.

36

37 In addition, the Federal Subsistence
38 Board plans to invite North Pacific Fishery Management
39 Council members and Staff to its next meeting in
40 January 2023 to discuss this issue.

41

42 So, Mr. Chair, that concludes my
43 Council correspondence updates. If anyone has
44 questions on that second letter I could also answer
45 those.

46

47 Thank you.

48

49 ACTING CHAIR NANENG: Thank you. Any

50

0081

1 questions from the Council members.

2

3

MS. ROGERS: Mr. Chair.

4

5

ACTING CHAIR NANENG: Go ahead, Alissa.

6

7

MS. ROGERS: Thank you. Through the
8 Chair. In regards to the Department of Commerce, are
9 we going to be integrating or coming together to meet
10 with them or do you mean to set up -- have us set aside
11 date and time or even just a little mention that if
12 they want to meet that we can have a meeting?

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

MS. KENNER: So you read a letter that
was to DOI.

28

29

30

31

MS. MCDAVID: Yes, so that letter was
addressed the Secretary of Interior and Secretary of
Agriculture.

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

ACTING CHAIR NANENG: Okay. Quyana.

Yes, go ahead.

MS. WESSELS: Mr. Chair.

(Pause)

MS. WESSELS: Mr. Chair, may I speak.

ACTING CHAIR NANENG: Yes, you may.

MS. WESSELS: Thank you. Katya Wessels
for the record. I just wanted to also add to what
Brooke was saying in regards to the North Pacific
Fisheries Management Council being invited to the Board
meeting. You know the Chairs of the Councils are also
invited to the same meetings, the Chairs or their

0082

1 representatives so if they end up coming to the Board
2 meeting, the Chair of your Council, or if there is a
3 substitute for the Chair they would be able to be
4 present during that discussion and, you know, express
5 their position at that time.

6

7

Thank you.

8

9 ACTING CHAIR NANENG: Thank you. Any
10 other comments related to this topic before we go on to
11 the next one.

12

13

(No comments)

14

15

16

17

18

19

ACTING CHAIR NANENG: If not we'll go
on to Item No. D, special action review for FSA -- the
numbers -- and we'll turn it over to our Cultural
Anthropologist.

20

21

22

23

24

25

26

27

28

29

30

31

MS. KENNER: Hello, Mr. Chair and
members of the Council. My name is Pippa Kenner and I
am an Anthropologist at the Office of Subsistence
Management in Anchorage. And the materials relevant to
my presentation are on Page 43 of your Council book.
It's basically the news release that went out when the
Yukon was closed by the Board. So I'm here today to
present a brief update of four fisheries temporary
special action requests. They're called FSA22-01, 02,
03 and 04 and they were submitted to the Board last
spring.

32

33

34

35

36

37

38

39

40

All four special action requests were
identical. And each requested the Federal Subsistence
Board to close Federal public waters of the Yukon River
drainage to the harvest of chinook, summer and fall
chum salmon except by Federally-qualified subsistence
users, and to further reduce the pool of eligible
harvesters based on an ANILCA Section .804 subsistence
user prioritization.

41

42

43

44

45

46

The Federal Board met on May 4th, 2022
and adopted Temporary Special Action FSA22-01 for
conservation purposes. The Board took no action on the
other special action requests based on the adoption of
FSA22-01.

47

48

49

50

Specifically, the Board closed Federal
public waters to the Yukon River drainage to the
harvest of chinook, summer and fall chum and coho

0083

1 salmon except by Federally-qualified subsistence users
2 from June 1st through September 30th, 2022 with harvest
3 opportunities to be determined by the Federal fisheries
4 manager should fishery run strength be sufficient to
5 allow a Federal subsistence fishery. In short the
6 returns this summer were so poor that no directed
7 opportunities to harvest chinook, summer or fall chum
8 salmon were provided. Holly Carroll, the Federal
9 Fisheries Manager for the Yukon River implemented the
10 Board's action. Holly will be updating the Council on
11 the Yukon River salmon management and can answer
12 questions related to the implementation of the action
13 at that time. Actually I believe it's going to be
14 Gerald Maschmann back here. So, again, we're going to
15 be going through over what happened on the Yukon this
16 summer in just a couple minutes. Right now I'm just
17 giving you an update.

18
19 That concludes my update on these
20 special action requests and I'll try to answer your
21 questions if you have any. This is not an action item,
22 just an update. And, again, we're going to be going
23 over this some more later in the meeting.

24
25 Thank you, Mr. Chair and members of the
26 Council.

27
28 ACTING CHAIR NANENG: Okay, thank you.
29 Any questions from the Council members.

30
31 (No comments)

32
33 ACTING CHAIR NANENG: If there's no
34 questions that concludes the old business and we'll
35 move on to the new business, the fishery reports. No.
36 1 will be the Yukon 2022 season summary.

37
38 MR. MASCHMANN: Thank you, Mr. Chair
39 and Council members. My name is Gerald Maschmann and I
40 work for the U.S. Fish and Wildlife Service in the
41 Fairbanks office. I am the Assistant Federal
42 Subsistence Fisheries Manager for the Yukon River and I
43 assist our Federal Manager, Holly Carroll, with Federal
44 management of salmon on the Yukon River. I'll focus
45 this brief update on the 2022 season.

46
47 I believe on Page 44 of your book is
48 the handout, I'm not going to go through that entirely
49 but I'll just summarize it. There's some figures in
50

0084

1 there on Pages, I think 48, 49 and 50 that I'll refer
2 to.

3
4 I guess I probably don't have to tell
5 anyone it was another lousy season on the Yukon. You
6 know going into the season we had some very poor
7 forecasted run sizes particular for chinook and chum
8 salmon, and coho salmon were also forecasted to
9 probably come in below average. And so based on these
10 poor forecasts we anticipated entering the season with
11 subsistence salmon fishing closed starting in the lower
12 Yukon on June 2nd, while also providing subsistence
13 fishing opportunity for non-salmon species using four
14 inch or less gillnets, manned fishwheels and other
15 selective gear types such as dipnets. You know we
16 entered the season -- you know going into the season it
17 was likely that this strategy would need to last
18 throughout the season unless the salmon runs came in
19 better than expected. And this management strategy was
20 discussed with fishermen, stakeholders and the public
21 at several pre-season meetings as well as six district-
22 wide tribal consultation meetings.

23
24 As Pippa reviewed in consultation with
25 the Regional Advisory Council Chairs and the Office of
26 Subsistence Management Staff the Federal manager began
27 issuing emergency special actions to close salmon
28 fishing in each district starting on June 2nd and
29 moving those closures up river based on salmon
30 migration timing. And these actions were taken in
31 consultation and concurrently with ADF&G announcements
32 which restricted State managed waters.

33
34 Due to the poor outlook in returns,
35 subsistence salmon fishing for chinook and chum salmon
36 was essentially closed for the entire season on the
37 Yukon River. Managers provided opportunity for
38 subsistence fishers to harvest non-salmon species using
39 four inch or smaller mesh gillnets and other selective
40 gear types while we did allow for the retention of pink
41 sockeye and coho salmon. You know, unfortunately the
42 salmon runs came in poor for a third season in a row.
43 Looking at Figures 1 and 2 in your handout, only 45,000
44 chinook salmon passed the Pilot Station sonar and only
45 12,000 passed the Eagle sonar. This was well below
46 expectations and well below the interim management
47 escapement goal of getting our fish across the Border
48 into Canada. Overall, this was probably the worst
49 chinook salmon run on record.

50

0085

1 Both summer and fall chum salmon runs
2 came in poor but they were better than the 2021 chum
3 runs which were the worst on record. Figure 3 shows
4 that 437,000 chum passed the sonar during the summer
5 season and Figure 4 shows that 325,000 chum salmon
6 passed during the fall season.

7
8 And as your Chair mentioned, there's an
9 overlap there on July 15th in the lower Yukon where the
10 summer chum run is kind of ending and then the fall
11 chum run are kind of entering around mid-July and
12 fishermen tell us they can tell the difference between
13 a summer chum and a fall chum and we've also seen that
14 with using mixed stock genetic analysis. So using that
15 genetic analysis and accounting for that summer and
16 fall chum overlap it's estimated that about 521,000
17 summer chum salmon and 241,000 fall chum salmon passed
18 the Pilot Station sonar during the 2022 season.

19
20 Although poor, the summer chum salmon
21 run did come in near the top of the forecast and
22 slightly above the bottom end of the drainage-wide
23 escapement goal of 500,000 fish. The fall chum salmon
24 also came in above forecast but was below the lower end
25 of the drainage-wide escapement goal of 300,000 fish.
26 If you look at Figure 5 that shows about 92,000 coho
27 salmon passed the Pilot Station sonar and that's below
28 the average of 145,000 but above the record low return
29 that we saw last year.

30
31 Just under 22,000 fall chum salmon have
32 passed the Eagle sonar this season and overall it's
33 anticipated that no escapement goals were met or will
34 be met for salmon throughout the drainage in the 2022
35 season. However, we did see that chum and coho salmon
36 runs increased over last year and maybe that might
37 indicate that these runs could be improving and there's
38 been maybe some evidence from the Bering Sea, sampling
39 that they do on juvenile chum, that maybe there's good
40 numbers of juvenile chum that look healthy out there so
41 maybe that's also an indicator that maybe the chum are
42 coming back.

43
44 Main stem Yukon salmon fishing
45 restrictions were basically removed starting on October
46 1st and moving up river chronologically. Some of the
47 tributaries are going to remain closed through
48 December. Some of these tributaries there's still fall
49 chum and coho spawning and so they're going to remain
50

0086

1 closed just to protect these spawning chum and coho.

2

3

4 And as you know -- as some of you know
5 on the Yukon fishermen have identified a higher than
6 normal of prevalence of a disease called ichthyphonus
7 in chinook salmon and they've been seeing that the last
8 few seasons and it seems to rear its ugly head like
9 every 10 or 12 years it seems to come back and the last
10 couple of seasons we've seen a high prevalence of
11 ichthyphonus. We did have a handout on a ichthyphonus,
12 I put a stack up here if you're interested in
13 ichthyphonus on the Yukon River you can grab one of
14 those. But we started sampling for ichthyphonus at
15 three sites this season, at Pilot Station, at the
16 Rapids and at Eagle. The sampling goal of 200 chinook
17 at each site was met at the Pilot Station and Rapid
18 sites, however, due to the poor chinook numbers seen at
19 Eagle, the Eagle samples were reduced to 50. And right
20 now preliminary results from this study will be shared
21 later this winter or spring but it does look like, just
22 based on observations in the field, it's about a third
23 of the chinook that we sampled at Rapids seemed to have
24 ichthyphonus infection, that's considered very high.
25 So this is a very important study, we plan on doing
26 more sampling next year. And it's somewhat sensitive
27 because we have to sacrifice some fish so, you know,
28 some folks in these communities are a little
29 apprehensive about sacrificing fish when they're being
30 closed down. But a lot of fishermen have requested
31 this study. A lot of fishermen have supported this
32 study. And so we're trying to, as we sample those fish
33 hand those fish out to the local communities. In
34 addition, you know, we like to take advantage, if we're
35 going to sacrifice fish, we need to take advantage of
36 the opportunity so the fish are also sampled for a
37 variety of other additional research projects
38 addressing Yukon chinook salmon health and life history
39 and it's been a collaborative effort between ADF&G, the
40 Fish and Wildlife Service, multiple researchers at UAF
41 and elsewhere, fish disease experts, effected
42 communities and the local fishermen have been
43 participating in this study. So we'll be continuing to
44 assess the escapement and ichthyphonus analysis will
45 continue through the winter months.

45

46 And to be honest, fall management isn't
47 really over yet, like I said there's still fall chum
48 and coho salmon are still migrating and still spawning
49 on their spawning grounds and will be through November.

50

0087

1 Fishermen can expect ADF&G's summer
2 season summary probably most likely any day now, I know
3 they're working on it. And usually the fall season
4 summary will be available usually by the end of
5 December and that really gives a good detailed summary
6 of the season so I'd watch out for that.

7
8 And I just wanted to comment on Holly's
9 commitment to government to government consultation.
10 She takes that very seriously and so we value that
11 knowledge that's shared during tribal consultations.
12 It's an open door, Holly is an open door policy. If
13 your tribal government wishes to have one to one
14 government to government tribal consultation with the
15 Federal Fisheries Manager please contact her or me,
16 it's on the last page of that handout, is our contact
17 information. We'll be happy to do all the work if your
18 tribal government wants to have that consultation, just
19 let her know, we'll figure out what day and time works
20 best for your tribal government and we'll make
21 arrangements to have it.

22
23 So that's all I have for you today, I'd
24 be happy to answer any questions you might have. But
25 before I leave I want to ask if the Yukon managers with
26 the Alaska Department of Fish and Game is on and if
27 they have any additional information they'd like to
28 share they can share that now.

29
30 ACTING CHAIR NANENG: Thank you. Is
31 the.....

32
33 MS. JALLEN: Hi, yeah, thanks Gerald.
34 This is.....

35
36 ACTING CHAIR NANENG: Go ahead.

37
38 MS. JALLEN: Hi, thank you. So thanks
39 Gerald for giving a great summary. We work very
40 closely with U.S. Fish and Wildlife Service all season
41 looking at all the assessment data as it comes in and
42 having our management meetings, sometimes every day to
43 look over the runs and look over the numbers and we
44 work really closely together to decide how to manage
45 the runs and then we also work really closely in-season
46 with each other to make sure that we're talking to
47 fishermen, that we're present at meetings, that we're
48 available to help answer questions. And we just -- you
49 know, my heart goes out to everybody about, you know,
50

0088

1 for how hard this year was and especially coming kind
2 of back to back with poor chum runs. We're really
3 hoping that we're going to start hopefully picking up
4 next year. I guess kind of one bright spot was that the
5 summer chum run came in within the forecast and so
6 hopefully, you know, once we start to see our forecast
7 later this winter hopefully that will give us a good
8 indication of what to expect for next year. And
9 hopefully we'll have forecasts around, you know,
10 January or in the spring, we'll try to get those out,
11 mailed out to every household in the form of the
12 outlook flier. Last year we sent a four page outlook
13 flier to every household talking about the outlooks and
14 about non-salmon harvest because we've had a lot of
15 questions about that as well. So look forward to that
16 coming to your mailbox sometime around April or May
17 next spring, for the forecast and management strategy.
18 There'll be a lot more discussions to discuss 2022 and
19 looking forward to 2023 this winter and as we go into
20 the spring meeting there'll be the Yukon River Panel
21 meeting coming up later this winter. Also the Board of
22 Fish meeting will be a great chance to discuss a lot of
23 these Yukon River areas at the AYK Board of Fish
24 meeting for both Yukon and Kuskokwim River areas.

25

26 I think Shane's got some more
27 information about dates for those meetings.

28

29 I just want to thank Gerald and thank
30 Holly for all the -- you know, all the work that, you
31 know, just being such good teammates and just -- you
32 know just helping us to all get through this really
33 poor year and we're really all hope that the salmon
34 start to come back next -- start to come back better
35 next year. It'll be -- you know everyone will be
36 really happy to see them start to come back.

37

38 With that I'll turn it over to Shane to
39 give a little bit of update from fall season and also
40 I'll be online but it sounds like Gerald's there and he
41 can probably answer most of the questions you've got,
42 so, thanks.

43

44 Shane.

45

46 ACTING CHAIR NANENG: Thank.....

47

48 MR. RANSBURY: Hi everybody, my.....

49

50

0089

1 ACTING CHAIR NANENG: you.

2

3 MR. RANSBURY: name is Shane
4 Ransbury, I'm the Fall Season Assistant Manager. And
5 we just wanted to add that, you know, we hear your
6 RAC's opening comments and concerns for the continuing
7 low salmon runs. For fall chum and coho, this was the
8 third year in a row with poor runs, even when all
9 fishing was closed in the river.

10

11 This season we did three additional
12 research projects in-season. We collected samples from
13 fall chum salmon to run some stress hormone analysis
14 on. We restarted the Sheenjok River sonar project,
15 which was a historical project counting fall chum, an
16 important spawning river and we worked with U.S. Fish
17 and Wildlife Service and Yukon Delta Fishery
18 Development in a joint project to develop -- to deploy
19 radiotags in about 350 coho salmon and we're still in
20 the process of tracking those tagged salmon throughout
21 the Yukon River drainage right now, as they return to
22 spawn.

23

24 We also -- we have Alaska Fish and Game
25 marine salmon research team studying Yukon salmon with
26 NOAA over the last 20 years in the Bering Sea and now
27 in the Gulf of Alaska. We share research information
28 on our Alaska Fish and Game, Yukon River FaceBook page.

29

30 This year, as for dates kind of what
31 Deena was mentioning, the Board of Fisheries is meeting
32 January 14th through 18th in Anchorage to address 12
33 proposals for Yukon and Tanana subsistence, personal
34 use and commercial fishery. We will be -- as well as
35 many more for the Kuskokwim. We'll be speaking at
36 local Advisory Committee meetings to discuss these
37 proposals. Those AC meetings are open to the public
38 and you can read the proposals online and submit public
39 comments by December 30th. The Board of Fisheries is
40 also taking up proposals for Area M in February 20th to
41 the 25th in Anchorage. And you can read the proposals
42 online and submit comments by February 3rd. We heard
43 in the opening comments that your RAC is interested in
44 this fishery to protect Yukon salmon.

45

46 And then finally in regard to Norma's
47 question during her open comment regarding a potential
48 commercial pike fishery. That would be treated similar
49 to the lamprey or whitefish commercial fisheries where
50

0090

1 a commercial processor, catcher/seller or other type of
2 buyer submits an experimental freshwater fishery
3 application to us. That would need to include their
4 intended fishing dates, harvest number, location and
5 some other information and then we would evaluate if
6 the fishery is viable to be open. However, during
7 these low salmon runs the Department has no plans to
8 open up new commercial fisheries since subsistence
9 needs are the priority.

10

11 That concludes my fall season update.

12

13 Thank you, and I'll turn it over to the
14 Chair.

15

16 ACTING CHAIR NANENG: Anybody else.

17

18 MS. ROGERS: Mr. Chair.

19

20 ACTING CHAIR NANENG: Yes, go ahead.

21

22 MS. ROGERS: Thank you, Mr. Chair.

23 Through the Chair. Do we have any updates on the
24 International Treaty and, I know we didn't meet those
25 needs, but do you have any updates, have they met,
26 have.....

27

28 MR. MASCHMANN: Through the Chair.

29 Member.....

30

31 MS. JALLEN: Hi, through the -- okay,
32 go ahead.

33

34 MR. MASCHMANN: Go ahead, Deena.

35

36 MS. JALLEN: Thanks Gerald. Yeah,
37 through the Chair. Yeah, the Yukon River Panel winter
38 meeting, the post-season meeting for 2022 is going to
39 be taking place in December so it would be the U.S. and
40 Canadian section meeting, so they meet separately on
41 December 3rd and December 4th and then we'll meet
42 together, both the countries will meet together on the
43 15th and the 6th, and then the public meeting for this
44 session will be December 7th and December 8th, and
45 those meetings are going to be in person in Anchorage
46 and I don't have a location yet. But that'll be the
47 winter kind of 2022 wrap-up and then at that meeting
48 they'll probably discuss when they're going to have the
49 pre-season meeting to discuss 2023, if there's any kind
50

0091

1 of advice from the Yukon River Panel or changes to the
2 inter -- the escapement goals or management strategies,
3 those will be discussed at the spring meeting and
4 they'll talk about when that meeting's going to happen
5 at the December meeting.

6
7 So hopefully that answers your
8 question.

9
10 ACTING CHAIR NANENG: Did she answer
11 your question?

12
13 (No comments)

14
15 ACTING CHAIR NANENG: Okay, any more
16 questions from the Council members.

17
18 MR. PETER: Mr. Chairman.

19
20 ACTING CHAIR NANENG: Go ahead.

21
22 MR. PETER: On your report what causes
23 -- when the fish moving -- mortality -- I got question
24 for it. You know some of the fish got big wounds on
25 their skin but the -- they're alive, strong and
26 swimming, what causes them to die while they going up
27 stream from the mouth of the Yukon to the end -- end of
28 the river where they spawn. What causes them, weaken
29 and die-off?

30
31 MR. MASCHMANN: Through the Chair.
32 Thank you, that's a great question and it's a question
33 we've been trying to figure out. We've noticed the
34 last few seasons that we have a certain number of fish
35 pass the Pilot Station sonar and so we expect a certain
36 number to get to Eagle and to cross the Border into
37 Canada and the number of fish showing up at Eagle has
38 been a lot lower than we expected and so we're like
39 well where are these fish going. Is the sonar off, is
40 our genetic estimates, our proportions off but we've
41 been through them and we think Pilot Station is
42 operating well. We think it's doing as well as it can
43 do. And so some fishermen in District 5, which is the
44 middle Yukon, they've noticed that the last few seasons
45 that there's a disease called ichthyophonous that is
46 infecting the chinook salmon and it gets in their heart
47 and, you know, as the fish swim up river, they're
48 strong, they got a lot of energy but if they're also
49 fighting a disease some of the fishermen think that
50

0092

1 fish with this disease, they're not making it to the
2 spawning grounds so maybe that's a reason why we're
3 missing fish up at Eagle, is that they're dying from
4 this ichthyphonus disease.

5
6 In 2019 we had, it was really warm in
7 the middle Yukon, high temperatures, and some folks
8 thought, well, maybe they're burning through all their
9 energy in this warm water and they weren't able to make
10 it and so at this point we're not sure why we're not
11 seeing the fish up river that we think we should see
12 based on what we see down river. It could be a
13 combination of ichthyphonus, warm water, we're just
14 unsure. So, you know, that's what we're trying to
15 figure out with this ichthyphonus sampling and the
16 other researchers are looking into other things like
17 stress hormones, vitamin deficiency, percent body fat,
18 those kinds of questions. So we're not quite sure, you
19 know, some fishermen think it's ichthyphonus, and other
20 people think it's maybe a combination of other things
21 but we're trying to figure it out, yeah.

22
23 Thank you.

24
25 MR. PETER: Mr. Chairman. Through the
26 Chair. You know on this report the escapements are
27 pretty good, 237,000 chums, fall chums, on -- on your
28 report it's a pretty good number 233,000 -- 237,000
29 even though it's short of 300,000. As long as the
30 river has fish it's good, good number. But next year
31 hopefully it'll increase a little bit if they're not
32 dying off from the predators, you know. And like
33 Kuskokwim, they're having a problem in Yukon, same as
34 Kuskokwim, but there's fish -- but there's fish in the
35 river but they're on restrictions if we're not fishing
36 except -- except setnetting, setnetting a whitefish, I
37 call that whitefish net a killer because it's not
38 strong enough to hold the fish. You know once the king
39 salmon or any salmon is caught in a whitefish net it
40 jerks and then they fall off, they're dead. The only
41 -- my concern is this -- if we're going to go for
42 conservation, I know the Department is really fearful
43 of our custom [sic] and traditional knowledge. Like
44 our elders, what I said this morning, when I'm
45 testifying, in May -- or my dad, my uncle, my grandpa,
46 they start mending the big net, the big size net, the
47 king salmon net just used for king salmon, not
48 targeting the small salmon. They believe it's 15 -- 15
49 fathoms, long time ago it may be under 28 mesh. My dad
50

0093

1 used to hang a 26 mesh size, 15 fathoms long same as my
2 uncle and my grandpa. But they set their net on the
3 eddy. We used to check them right after -- we set them
4 in the morning, and in the afternoon we check it, it
5 catch five, five kings, first run, five kings. In the
6 evening same. They set there for -- only for
7 consumption. Not for subsistence, just to eat. Those
8 whitefish nets are really killers for all species.

9
10 So why not the ADF&G and Fish and
11 Wildlife try to work on a solution for us to be tested
12 out for consumption only. For consumption. Right now
13 the nets are really good. I could hang a net, eight
14 inch or 8 and a quarter, 8.5, 45 mesh, 15 fathoms maybe
15 I could catch more just for consumption, we share our
16 fish, fresh caught fish to our community, all of them.
17 But I think we need to change the mesh size for the
18 Yukon, just like Kuskokwim.

19
20 When I tested it out a couple years
21 ago, I hate to set out net because I -- maybe just
22 because I'm lazy, you know, but I hung one a couple
23 years ago for setnetting, 5.5, 60 feet -- no, 50 feet,
24 45 mesh when the setnet opened in the morning a couple
25 of years ago I set the net eight miles down river where
26 I find the -- finally find an eddy, high water. I used
27 to watch my uncle, my grandpa, my dad, they throw out
28 the stick -- I keep throwing the stick out -- when you
29 find eddy they come toward me and then goes out to that
30 line where I hit the eddy. Cannot go out -- cannot
31 pass that, it's still going back and forth, back and
32 forth and it's really deep, really deep -- deep water
33 -- deep eddy. When you set them out, I set them, I set
34 my net, first net I set it out less than three minutes
35 let it stay my -- what you call them (In Yup'ik).

36
37 UNIDENTIFIED VOICE: Floats.

38
39 MR. PETER: Yeah, they start pulling.
40 Maybe one, two, three and then I check it, I catch
41 seven really good sized kings for consumption and I --
42 and I mark that one. Put anchor and a buoy so that I
43 could -- and when I returned home I told my (In Yup'ik)
44 I got -- if you want to set your net go down river and
45 you'll see buoy, set your net right there for
46 consumption. First opening. How come we never try it.
47 We keep on doing like this we're killing them, we're
48 taking them, those small fish for our future
49 generations.

50

0094

1 Maybe they're afraid for, you know,
2 lose -- lose the king salmon or saving up to commercial
3 fishermen in the Area M down -- down there for money.
4 We need to change -- change, only for testing and only
5 for consumption and first run of king salmon. When the
6 second one comes in we use whatever net we want to use,
7 but if we're successful, if we're really successful --
8 the ADF&G and us, the Board of -- the Board of Fish --
9 Board of Directors -- us could change it. Boy if we
10 use that 8.5, eight and a quarter the month of June,
11 first opening, in Kuskokwim and Yukon, one drift if
12 we're lucky, if we're lucky we could catch 80 -- 80 big
13 ones, not small ones, 80 big ones not small ones. I
14 used to drift, I used to commercial fish with that
15 eight inch, my eight inch is still in my shack, wrap it
16 up in the gunny sack, never using it but one time I
17 used it in Quinhagak. I fill up my buckets.....

18
19 ACTING CHAIR NANENG: Philip.

20
21 MR. PETER:four times.

22
23 ACTING CHAIR NANENG: Philip,
24 let's.....

25
26 MR. PETER: Thank you, very much, Mr.
27 Chairman.

28
29 ACTING CHAIR NANENG: Yeah.

30
31 MR. PETER: But I want to see setnet in
32 Yukon like us, 5.5 inch, 6 inch next year for
33 consumption just like Kuskokwim, not the whitefish net.

34
35 ACTING CHAIR NANENG: yeah, Quyana.
36 Any more questions or comments regarding the report.

37
38 MR. PARKS: Mr. Chairman, I have a
39 question. As you stated about this sickness, this
40 disease, ichthyophonus, is that it, parasite, some kind
41 of a parasite, so you stated that the chinooks are the
42 ones that are being infected. What about these other
43 salmons like reds, chums, silvers now -- and you stated
44 that there's a sonar down in Pilot Station area and
45 probably you guys do some catches over there and test
46 to see if they're infected, what about down at mouth of
47 Johnson, do you guys do some -- I mean mouth of the
48 Yukon, I'm sorry, do you guys do some testing on these
49 fish for parasites.

50

0095

1 Quyana, Mr. Chair.

2

3 MR. MASCHMANN: Through the Chair.

4 Thank you. There is an Emmonak test fishery and
5 sometimes in the past they can take samples from fish
6 they catch here but for this particular
7 ichthyophonus.....

8

9 MR. PARKS: Uh-huh.

10

11 MR. MASCHMANN:Pilot Station is
12 just a real convenient place to sample because they
13 have the sonar, there's a test fishery that's operating
14 every day and so there's the opportunity to get the
15 number of samples that they need from Pilot Station.
16 You know in Emmonak they've been -- there is a test
17 fishery but they've been trying to minimize the number
18 of fish that they kill out of that fishery just because
19 of conservation concerns and so there's a possibility
20 we wouldn't get the number of samples we need. So
21 Pilot Station is just really a good place to get those
22 samples from and that's why we do it there. And it's
23 pretty close -- I mean it's not -- you know it's all
24 relative. I mean Pilot Station isn't really close to
25 the mouth but when you think about how big the Yukon
26 is, Pilot Station is really way down river compared to
27 the size of the Yukon, so, yeah.

28

29 MR. PARKS: Quyana, thank you. Mr.
30 Chair, one more question.

31

32 ACTING CHAIR NANENG: Okay.

33

34 MR. PARKS: Now, the reason why I
35 brought that up is because who knows those salmons,
36 especially chinooks, are they being infected on their
37 route down there at the sea or do they get this
38 parasite while going up stream to the Yukon?

39

40 MR. MASCHMANN: Through the Chair,
41 thank you. Yeah, that's a great question. I think
42 there's some theories that they get it in the ocean.
43 This disease is in herring.....

44

45 MR. PARKS: Uh-huh.

46

47 MR. MASCHMANN:and that's a major
48 food source for chinook and so they think maybe they're
49 getting it from herring. But why does ichthyophonus --

50

0096

1 why is it not present very much in some years but then
2 in other years we just see a lot of it and then it
3 seems to go away for a few years and then it comes
4 back, we're not sure, but we think they get it from
5 herring while they're feeding in the ocean and as they
6 come in the mouth, you know, they're bright and healthy
7 at the mouth but as they move up river they're burning
8 through their energy stores and they're putting all
9 their energy they can into getting to the spawning
10 grounds, they just can't fight the infection. And so
11 by the time they get to the middle Yukon, the ones who
12 are infected start getting really sick and it doesn't
13 seem like they can make it. It appears we're still
14 answering that question, but sick fish, if they're sick
15 enough just don't seem to be making it to the spawning
16 grounds. And we haven't seen it -- or we haven't heard
17 fishermen complain about it in chum or coho. So we're
18 not sure why chum or coho don't seem to have it, or at
19 least they're not being affected by it if they do have
20 it. So -- and maybe they're eating different fish out
21 in the Bering Sea that don't have the disease.

22

23 MR. PARKS: Thank you.

24

25 MR. MASCHMANN: Thank you.

26

27 MR. PARKS: Quyana, Mr. Chair.

28

29 ACTING CHAIR NANENG: James.

30

31 MR. LANDLORD: Thank you, Mr. Chairman.
32 Ichthyophonus. I sit on Yukon River InterTribal
33 Watershed Council. We first met in 1997 at Galena to
34 discuss why our fish were getting sick. And we first
35 heard of salmon getting disease and sick back then. I
36 don't know if it was ichthyophonus but there were a lot
37 of people talking that some of the fish had sores in
38 their body. And just recently I went and was reading
39 the news and internet, ocean gets warm and it's when
40 disease affect the fish. They get disease because the
41 ocean's warm, more bugs or whatever in the ocean, but
42 it also gets cold and it's also due to climate and in
43 the U.S. and in Alaska. They say when the ocean gets
44 cold and warm more bugs affect the fish. However, I
45 think NOAA needs to do a longterm study on how the warm
46 waters affect the fish when they come into our rivers.
47 And I don't know who studies those but it's part of
48 NOAA -- so that's the first time we talked about sick
49 fish, we started back in 1997 in Galena when the First
50

0097

1 Nations, Yukon Territory, all the way down the mouth
2 and we signed an agreement, I think we called it Accord
3 to work with each other to keep the Yukon River clean.
4 That's the first time that I heard that there were fish
5 that were sick.

6
7 Thank you.

8
9 ACTING CHAIR NANENG: Thank you, James.
10 I think some of that will be answered, the comments
11 that you're making, we have been told that the Bering
12 Sea research group from ADF&G has to leave. So I'll
13 request whoever from ADF&G is there, that's Item No. 5
14 on the new business would like to make the report
15 regarding the Bering Sea research projects. And I'm
16 sure the questions that have.....

17
18 MS. GARCIA: Hello, Mr. Chair, can you
19 hear me?

20
21 ACTING CHAIR NANENG:been asked
22 of you will be answered. Yes, go ahead.

23
24 MS. GARCIA: I apologize, I thought you
25 were ready for me to present, I will wait.

26
27 ACTING CHAIR NANENG: Who's that?

28
29 MR. MASCHMANN: That's Sabrina.

30
31 ACTING CHAIR NANENG: Yep, if you're
32 going to give the Bering Sea report salmon research
33 update you're on the agenda right now because I've been
34 told that you're going to be leaving very shortly so
35 you have the floor. Go ahead.

36
37 MS. GARCIA: Wonderful. Thank you, Mr.
38 Chair. And is my presentation loaded on the screen for
39 you all.

40
41 MS. MCDAVID: Hi, Sabrina, this is
42 Brooke, the Council Coordinator. Yes, it is, we're
43 ready for you to go and I'll advance your slides when
44 you let me know, too, thanks.

45
46 MS. GARCIA: Wonderful, thank you,
47 Brooke. Hello everyone, Mr. Chair and members of the
48 Council. My name is Sabrina Garcia and I am the Marine
49 Research Biologist for the Arctic, Yukon, Kuskokwim
50

0098

1 region and part of the Salmon Ocean Ecology Program for
2 the Alaska Department of Fish and Game.

3
4 Today I'm going to talk to you about
5 this relatively new research program within the
6 Department, provide updates on research focused on
7 Yukon River chinook and chum salmon and introduce new
8 and ongoing projects aimed at understanding the marine
9 life phase of our Western Alaska salmon.

10
11 Next slide.

12
13 MS. MCDAVID: Sabrina, sorry for.....

14
15 MS. GARCIA: The Salmon Ocean Ecology
16 Program.....

17
18 MS. MCDAVID: Sabrina, sorry, I just
19 wanted to interrupt you real quick. We forgot to let
20 folks in the room and online know where they can find a
21 copy of your presentation. It's on Page 101 of the
22 meeting book, and folks online that will be meeting
23 book, Part 1. Okay, that's all Sabrina, you can
24 proceed.

25
26 MS. GARCIA: Okay, thanks, Brooke. So
27 we're on Slide 2.

28
29 So the Salmon Ocean Ecology Program or
30 SOEP was initiated about two years ago and it is
31 currently made up of three biologists, two from the
32 statewide region and myself from the Arctic Yukon
33 Kuskokwim region. And the goals of this program are to
34 understand the marine life of Alaska salmon, use this
35 information to assist in decisionmaking and answer
36 pressing questions about what is driving salmon
37 populations. I know these are lofty goals for just
38 three of us. So you'll see in the upcoming slides that
39 we rely very heavily on collaboration with the State,
40 Federal, non-governmental organizations, universities
41 and International agencies to fulfill our mission.

42
43 Next slide.

44
45 So one of our longterm projects is the
46 Northern Bering Sea juvenile salmon and ecosystem
47 survey. This project was initiated by NOAA in 2002 and
48 ADF&G joined as project partners in 2010. For the last
49 20 years, this has occurred in the shallow shelf
50

0099

1 habitat indicated by the white box in the Northern
2 Bering Sea. This area is the primary habitat for
3 juvenile salmon in from the Yukon River.

4

5 (Teleconference interference -
6 participants not muted - news station)

7

8 MS. GARCIA: Can you hear that?

9

10 (Pause)

11

12 (Teleconference interference -
13 participants not muted - news station)

14

15 MS. GARCIA: Mr. Chair.

16

17 (Teleconference interference -
18 participants not muted - news station)

19

20 MS. MCDAVID: Excuse me, whoever's
21 speaking on the line it sounds like there's a repeat of
22 a radio episode and.....

23

24 (Teleconference interference -
25 participants not muted - news station)

26

27 MS. MCDAVID: Sabrina are you still on
28 the line?

29

30 MS. GARCIA: Yes, I'm still on the line
31 but I can hear it sounds like a radio report.

32

33 MS. MCDAVID: Okay. Please standby, we
34 might have to ask the operator to mute. For some
35 reason there's a radio program coming through the
36 speakers.

37

38 Everyone on the line please mute your
39 phones, star, six. If you're listening to the radio
40 please mute your phones.

41

42 (Teleconference interference -
43 participants not muted - news station)

44

45 REPORTER: Okay, we should be okay now.

46

47 MS. GARCIA: Brooke, I don't seem to
48 hear it anymore.

49

50

0100

1 MS. MCDAVID: Okay, one second, we're
2 getting the mics set back up.

3
4 MS. GARCIA: Okay.

5
6 (Pause)

7
8 MS. MCDAVID: Thanks for your patience
9 everybody, there's always some minor technical
10 difficulties.

11
12 (Pause)

13
14 REPORTER: Sabrina, would you try it
15 now please?

16
17 MS. GARCIA: Yes.

18
19 REPORTER: Speak a little louder?

20
21 MS. GARCIA: Can you hear me okay?

22
23 REPORTER: A little louder please.

24
25 MS. GARCIA: Can you hear me, is this
26 better?

27
28 REPORTER: No, a little louder. Get a
29 little closer to the mic maybe.

30
31 MS. GARCIA: How about now?

32
33 REPORTER: That's worse.

34
35 MS. GARCIA: Is that better?

36
37 REPORTER: No.

38
39 MS. GARCIA: Okay, let me plug my
40 headphones back in. Is this better?

41
42 MS. MCDAVID: Yeah, that's a little bit
43 better, thank you.

44
45 MS. GARCIA: Okay. I'm just going to
46 pick up on Slide 3 since I don't know how much folks
47 caught on that slide.

48
49 So one of our projects is the Northern
50

0101

1 Bering Sea juvenile salmon and ecosystem survey. This
2 project was initiated by NOAA in 2002 and ADF&G joined
3 as project partners in 2010. For the last 20 years,
4 this has occurred in the shallow shelf habitat
5 indicated by the white box in the Northern Bering Sea.
6 This area is the primary habitat for juvenile salmon in
7 from the Yukon River. Surface trawl gear is used to
8 fish the upper 70 feet of the water column across a
9 standardized grid of stations. This platform is used
10 to study the distribution, abundance, stock
11 composition, diet and health of juvenile salmon,
12 specifically chinook and chum salmon. This survey
13 occurs in September after juvenile salmon have spent a
14 few months in the ocean and just before their first
15 winter at sea.

16

17 Next slide.

18

19 One of the most important pieces of
20 information we get from these surveys is an estimate of
21 juvenile salmon abundance. As I mentioned on the
22 previous slide most of the juvenile chinook salmon we
23 catch during the survey are from the Yukon River,
24 therefore we can estimate the abundance of juvenile
25 Yukon River chinook salmon. This figure shows the
26 abundance of juvenile Yukon River chinook salmon over
27 time. The black bar running across the figure is the
28 average abundance across the entire 20 years of the
29 survey. Juvenile Yukon River chinook salmon abundance
30 has changed over the history of this survey but you can
31 see that their abundance has steadily declined since
32 2013 and it has been below average since 2017. We did
33 see a slight increase in juvenile chinook salmon
34 abundance in 2021 relative of the.....

35

36 (Teleconference interference -
37 participants not muted)

38

39 MS. MCDAVID: Are you still with us
40 Sabrina, I'm sorry we have some open lines it sounds
41 like.

42

43 MS. GARCIA: Yes, should I just speak
44 over them.

45

46 REPORTER: No, please don't.

47

48 MS. MCDAVID: One moment please. Folks
49 on the phone who have called into the Yukon Kuskokwim

50

0102

1 Delta RAC meeting please mute your phones, it's very
2 disruptive, we can't hear our presenter.

3

4 Thank you.

5

6 (Teleconference interference -
7 participants not muted)

8

9 MS. MCDAVID: Excuse me we have someone
10 on the line talking about our meeting for the YKDelta
11 RAC, can you please mute your phone line, you're coming
12 through into the meeting room and everyone can hear
13 you.

14

15 (Pause)

16

17 MS. MCDAVID: Okay, Sabrina, are you
18 still there?

19

20 MS. GARCIA: Yes, do you want me to
21 start that slide over?

22

23 MS. MCDAVID: I think we heard most of
24 what you said until the voices came on the line.

25

26 MS. GARCIA: Okay.

27

28 MS. MCDAVID: Just pick up where you're
29 comfortable.

30

31 MS. GARCIA: Okay. If you can advance
32 to the next slide then.

33

34 MS. MCDAVID: Okay, I will.

35

36 MS. GARCIA: Thank you. Juvenile
37 abundance is a key part of the survey objectives
38 because it provides us with two very important pieces
39 of information. An estimate of marine survival and it
40 also tells us what life stages are most important to
41 determining whether run sizes will be good or poor in
42 the future.

43

44 (Teleconference interference -
45 participants not muted)

46

47 MS. GARCIA: this figure shows the
48 relationship between juvenile and adult abundance for
49 Yukon River chinook salmon with juvenile abundance on
50

0103

1 the bottom axis and adult returns on the left. This
2 relation indicates that as we see more juvenile chinook
3 salmon in the survey we tend to see a higher number of
4 adults returning to the Yukon River a few years later.
5 This strong relationship between the number of
6 juveniles and the number of adults shows that survival
7 after the survey is relatively stable year to year.
8 This tells us that while chinook salmon may be
9 experiencing.....

10

11 (Teleconference interference -
12 participants not muted)

13

14 MS. GARCIA: This tells us that while
15 chinook salmon may be experiencing mortality after we
16 catch them in the Northern Bering Sea survey that
17 mortality is stable year to year and does not
18 substantially change future run sizes. The stability
19 in this relationship between juvenile chinook salmon
20 and adult returns from those juveniles allows us to
21 provide pre-season estimates of run size for Yukon
22 River chinook salmon.

23

24 Next slide.

25

26 Using the juvenile chinook salmon
27 abundance that I just showed on the previous slide, we
28 can predict the number of adult chinook salmon that
29 will return to the Yukon River up to three years in the
30 future. On this figure, grey bars show the actual run
31 abundance in each year and the black dotted line and
32 whiskers indicate our juvenile based forecasted run
33 sizes for these years. Our expectation for the 2022
34 run size was for another poor abundance year, similar
35 to what we saw in 2021. However, the chinook salmon
36 run size for the Yukon River in 2022 was the lowest on
37 record and came in well below our pre-season forecast.

38

39 Next slide.

40

41 I mentioned this before but this is
42 very important so I want to repeat it. The data from
43 these Northern Bering Sea surveys suggest that whatever
44 is causing good or bad run sizes of Yukon River chinook
45 salmon is occurring very early in the life of these
46 fish, either during the year that they spend in the
47 fresh water, their first few months in the ocean or a
48 combination of both. This means that later marine
49 mortality, whether that's competition, predation,
50

0104

1 bycatch, they're not substantially affecting future run
2 sizes of chinook salmon in the Yukon River. Now while
3 these factors do not appear to be driving the declines
4 that we've seen in Yukon River chinook salmon there are
5 still concerns from stakeholders about whether there is
6 a right management balance among all these different
7 fisheries to provide equitable access to salmon,
8 particularly for subsistence use. So it is important
9 that we continue to gather information on the harvest
10 characteristics of these fisheries so that this
11 information can be used for informed decisionmaking.

12

13 Next slide.

14

15 We can also use juvenile abundance
16 information from the Northern Bering Sea surveys to
17 better understand population dynamics and critical
18 periods in Yukon River fall chum salmon. We are
19 currently focusing on fall chum salmon because they are
20 genetically distinct from other Western Alaska stocks
21 of chum salmon. On this figure the grey bars indicate
22 juvenile fall chum salmon abundance, and the black
23 dotted line represents the average across the time
24 series. Juvenile fall chum salmon abundance has been
25 variable throughout time but we saw above average
26 abundance in both 2019 and 2021. There was no survey
27 in 2020 due to the pandemic and we did complete the
28 survey this year in 2022 so we should have some updated
29 estimates of juvenile abundance for both chum and
30 chinook in the next few months.

31

32 Next slide.

33

34 The lowest of the data set for juvenile
35 chum salmon when we.....

36

37 (Teleconference interference -
38 participants not muted - radio station)

39

40 MS. GARCIA: When we plot the juvenile
41 fall chum abundance with the number of adult fall chum
42 salmon we see something similar to what we saw for
43 chinook salmon. The more juvenile chum salmon.....

44

45 (Teleconference interference -
46 participants not muted - radio station)

47

48 MS. MCDAVID: Hold on Sabrina. I'm
49 very sorry about this. Folks on the line we're hearing

50

0105

1 a radio come through again, please mute your phones,
2 star, six or use the mute button on your phone.

3

4 Thank you.

5

6 (Teleconference interference -
7 participants not muted - radio station)

8

9 MS. MCDAVID: We keep hearing, it was
10 another season of low salmon runs -- okay, Sabrina we
11 might have to have the operator mute the line. Standby
12 please.

13

14 (Pause)

15

16 MS. GARCIA: Sorry Brooke, I didn't
17 catch that, what did you say?

18

19 REPORTER: Hold on.

20

21

22 MS. MCDAVID: Just please standby
23 Sabrina, we're trying to get the line cleared, we're
24 calling the operator.

25

26 (Pause)

27

28 ACTING CHAIR NANENG: If we're going
29 through the agenda, we're trying to cover as much as we
30 can today because I know some of the people will want
31 to head back to where they came from by sometime
32 tomorrow afternoon or evening. So we'll probably run
33 to about 6:00 p.m. tonight so we can cover as much of
34 the agenda as possible.

35

36 (Pause)

37

38 REPORTER: Sabrina are you still there?

39

40 MS. GARCIA: Yes, I am.

41

42 REPORTER: Okay.

43

44 (Pause)

45

46 MS. MCDAVID: Just as a reminder to
47 folks on the phone, please don't put the teleconference
48 on hold, sometimes if you do that and you have hold
49 music or maybe the radio, that could be what is coming
50

0106

1 through.

2

3

(Pause)

4

5

6

REPORTER: I don't hear anything, could she go ahead.

7

8

9

MS. MCDAVID: Okay, Sabrina, are you ready to try again.

10

11

12

13

MS. GARCIA: Yep, if you're on Slide 9 I'll get started on that one that says fall chum salmon on the top.

14

15

16

MS. MCDAVID: Yes, that's what we have up, thank you.

17

18

19

20

21

22

23

24

25

26

27

28

29

MS. GARCIA: Okay. So the dataset, when we plot the juvenile fall chum salmon abundance with the number of adult fall chum salmon we see something similar to what we saw for chinook salmon. The more juvenile chum salmon we see in the Northern Bering Sea survey, that's on the bottom axis, the more adults we see returning from those juveniles on the left axis. But then we have these two years shown by the red triangle beginning in 2016 and continuing in 2017 that are farther away from the lines than the other points in the datasets. Something changed just starting in 2016.

30

31

Next slide.

32

33

34

35

36

37

38

39

40

41

42

What we think these data are illustrating is that for most of the dataset whatever factor determined adult abundance of Yukon River fall chum salmon were occurring sometime before we catch the juveniles in September of their first year in the ocean. This is suggesting a critical period for survival in the same period to what we saw for chinook salmon. But in 2016 something shifted such that later marine mortality became more important to determining future adult return abundance.

43

44

Next slide.

45

46

47

48

49

We know something dramatically different happened in 2016 in the Bering Sea. That year marks the beginning of a major multi-year marine heatwave in the Bering Sea that lasted through 2019.

50

0107

1 On this map the red colors are showing very warm sea
2 surface temperatures that built over time into 2019.
3 Like the blob in the Gulf of Alaska this Bering Sea
4 marine heatwave was unprecedented in scale, magnitude
5 and duration. Unlike Yukon River chinook salmon which
6 spend their entire marine life in the Bering Sea, fall
7 chum salmon use the Bering Sea in their first summer at
8 sea and then they migrate to the Gulf of Alaska and the
9 North Pacific Ocean for the winter and come back to the
10 Bering Sea seasonally for the rest of their marine
11 life. So chum salmon that first entered the Bering Sea
12 in 2016 were faced with marine heatwave conditions in
13 both of their marine habitats.

14

15 Next slide.

16

17 Now, when sea surface temperatures
18 increase we do see changes in several aspects of
19 juvenile salmon ecology. For example, in warmer years
20 we see higher proportions of juvenile chinook salmon
21 from Southern Bering Sea stocks migrating into the
22 Northern Bering Sea. We also see juvenile sockeye
23 salmon likely from Bristol Bay entering the Northern
24 Bering Sea in those warmer years. We also see changes
25 in the prey items eaten by salmon. For chinook we tend
26 to see more sandlans in warmer years and caplin in
27 cooler years. For chum salmon we tend to see lower
28 proportions of high quality zooplankton. For both
29 juvenile chinook and chum salmon we see a higher
30 proportion of empty stomachs as temperatures increase
31 and finally temperature also affects the health of
32 juvenile salmon with both chinook and chum salmon
33 showing lower condition in very warm years.

34

35 So next slide.

36

37 So now that I -- that was the chinook
38 and chum salmon section and now I'm going to switch
39 gears a little bit and talk about some of the ongoing
40 research projects that we have as part of our new
41 salmon ecology group. And the first of these projects
42 also utilizes the Northern Bering Sea platform and this
43 one is trying to understand the role of predation
44 during the marine life stage of salmon. And this
45 research has three components. The first is a salmon
46 shark satellite tagging program where we
47 opportunistically tag sharks that are caught during the
48 salmon surveys in the Northern Bering Sea and also on
49 other surveys throughout the North Pacific. So these
50

0108

1 tags, you can see it in that bottom left picture, that
2 chart has two tags. Those tags provide location and
3 depth information which we can use to find out where
4 and when salmon sharks might overlap with salmon in the
5 ocean. The second is to document predator wounds and
6 scars during salmon surveys. Wounds and scars give us
7 information on who likely predators are and where
8 predation is most likely to occur. Most of the time
9 when we think of predators we think of big animals like
10 sharks and marine mammals but I just wanted to show
11 this photo of the lamprey wounds in the top left on
12 juvenile pink salmon and we tend to see these quite a
13 bit during our Northern Bering Sea surveys. Finally,
14 we're using environmental DNA, or eDNA to look for
15 predators. The surface trawl gear used during our
16 juvenile salmon surveys is not designed to capture
17 predators so this new technology allows us to test
18 ocean water for DNA left behind by predators like
19 lamprey sharks and marine mammals. We've been doing
20 eDNA sampling for two years on the Northern Bering Sea
21 survey and we're going to continue to do that on future
22 surveys. And this predator research aims to
23 understand, not only salmon, but other aspects of the
24 ecosystem that they're a part of.

25

26 Next slide.

27

28 As part of the International Year of
29 the Salmon Initiative, three high seas expeditions
30 occurred to study the winter ecology of Pacific salmon.
31 The last survey from this International initiative
32 occurred earlier this year and as part of this
33 expedition four research vessels sampled the area of
34 the North Pacific Ocean highlighted by the three
35 polygons in this figure. The goal of these surveys is
36 to understand the winter distribution, abundance, stock
37 composition and ecology of Pacific salmon. In
38 collaboration with NOAA our SOEP program submitted a
39 proposal to fund analysis using chum salmon samples
40 collected during this winter survey. For example, we
41 want to use genetic stock composition to see where
42 Arctic, Yukon, Kuskokwim chum salmon were caught, where
43 they may overlap with hatchery fish, what their diet and
44 condition is like, and to look for competition between
45 and among salmon species. This proposal was selected
46 for funding and so we're going to begin analyzing
47 samples from the survey this winter.

48

49 Next slide.

50

0109

1 As part of my PHD dissertation I am
2 planning to build a habitat model for chinook salmon in
3 the Bering Sea. This model will incorporate many
4 different data types, including environmental variables
5 with the goal of being able to predict where and when
6 chinook occur in the Bering Sea. If we can
7 successfully predict where and when chinook occur, we
8 can provide that information to marine fisheries so
9 that they can avoid fishing areas where chinook salmon
10 are likely to be present and therefore reduce bycatch.
11 The left photo on the screen shows an immature chinook
12 salmon being tagged with a satellite tag, that tag will
13 record the chinooks depth and temperature every 10
14 minutes and these satellite data are just one type of
15 data that's going to be included in the model. And the
16 figure on the right shows what one of the outputs from
17 this model is going to look like. So as an example we
18 use temperature and chlorophyll to predict chinook
19 salmon abundance on May 5th 2019. The areas of bright
20 red indicate areas where you're going to have a higher
21 probability of catching chinook salmon.

22

23 Next slide.

24

25 We are also using salmon bony structure
26 like vertebrae and operculum and operculum is that flap
27 of tissue that covers the salmon gills, and what we
28 want to do is use those structures to recreate the life
29 history of fall chum salmon using stable isotopes and
30 hormones. So essentially these bony structures act as
31 time capsules that record the hormone and chemical
32 concentration experienced by the fish over its entire
33 life and we can use those hormone and chemical
34 concentrations to look at growth, stress and
35 reproduction and see how those might be affected by the
36 environmental conditions experienced by the fish. This
37 new technology allows us to learn about the marine life
38 of salmon without having to catch them in the open
39 ocean. And that figure that you're looking at that's a
40 chinook salmon operculum, and what this graph is
41 showing is that as the fish gets older you can see that
42 there are peaks in its -- in both the stress and
43 reproductive hormones so this is just an example of
44 what we're going to be doing with fall chum salmon.

45

46 Next slide.

47

48 And while the majority of our research
49 focuses on the marine environment we have a new project

50

0110

1 that is trying to tie together the conditions
2 experienced in the marine environment with those
3 experienced during their fresh water migration. We
4 want to figure out if female chinook salmon are less
5 equipped to make it to their spawning grounds or are
6 producing eggs that are less equipped to survive
7 because of changes in their diet, heat stress
8 experienced during their long migration or disease.
9 Particularly for chinook salmon that migrate to the
10 upper part of the Yukon, it's like they're running an
11 ultra marathon every day for a month to get to their
12 spawning grounds and they're doing this without eating.
13 And then the females have to lay eggs, and if those
14 eggs are going to survive they need to be packed full
15 of vitamins. And so the spawning runs that these
16 chinook salmon are doing, it's an incredible journey.
17 And if they contract a disease in the ocean then that
18 makes that journey even harder and if they don't have
19 enough nutrition then that journey becomes that much
20 harder. And we believe that changes in chinook salmon
21 marine diets may be causing female chinook to have
22 reduced nutrient levels at the start of their
23 migration, which means that they may not have enough
24 nutrients to reach their spawning grounds or to pass on
25 to their eggs. And increased river temperatures and
26 diseases like ichthyophonus may cause further stress to
27 an already long migration. We're working with, within
28 Alaska and in the Canadian Yukon to obtain samples from
29 female chinook and their eggs to assess them for
30 nutrient and stress levels. And I want to point out
31 that this project is getting these samples from fish
32 that are already on the spawning grounds that have laid
33 eggs so it's specifically designed to avoid additional
34 mortality to collect samples. This proposal was
35 selected for funding and we're going to begin this work
36 next summer. And we hope that this research will help
37 pinpoint the factors that are affecting chinook salmon
38 productivity on the Yukon River.

39

40 Next slide.

41

42 That's all I had for today. My email
43 is on the screen as are Jim Murphy and Katie Howard who
44 also are collaborators on this marine research. We do
45 have a FaceBook page. The QR code for that FaceBook
46 page is on the screen. Also the work that I presented
47 on here today, we post updates regularly on our
48 FaceBook page so if you're ever wondering -- if you
49 ever want updates that's one of the best places to

50

0111

1 look.

2

3 Thank you for inviting me to speak
4 today and I'm happy to take any questions.

5

6 ACTING CHAIR NANENG: Okay, thank you.
7 Thank you, Sabrina. Any questions from the Council
8 members.

9

10 MS. ROGERS: Mr. Chair.

11

12 ACTING CHAIR NANENG: Yeah, go ahead.

13

14 MS. ROGERS: Thank you, Mr. Chair.
15 Through the Chair. This is Alissa Rogers. I wanted to
16 ask you -- I couldn't overhear when you were just
17 having a discussion and the radio was kind of talking
18 over, the juvenile salmon from the eggs to when they're
19 three months in the ocean, you -- I just want to make
20 sure that I heard you correctly, that you were saying
21 that the mortality of those juvenile salmon was
22 happening in fresh water and not in the ocean?

23

24 MS. GARCIA: Thanks for that question.
25 What I was trying to say is that when -- if you look at
26 that relationship between the juvenile chinook salmon
27 and the adults that returned from those juveniles, it's
28 a pretty straight line so it means that more juveniles
29 that we see in the survey, the more adults that come
30 back from those juveniles. So that means that what's
31 happening after we catch those juveniles in September,
32 so what's happening to them in their later marine life,
33 it's pretty consistent year to year. So that means
34 that whatever is deciding -- whether the future runs
35 are going to be good or bad is happening before we
36 catch those juvenile chinook salmon in September. Now
37 what we don't know is if those factors are happening
38 during the year that they spend in the fresh water or
39 the first few months in the ocean of a combination of
40 both of those life stages. All we know is that by the
41 time that we catch them in September, the number of
42 juveniles that we see in the ocean is a really good
43 indicator of how many adults will come back to the
44 river three -- you know, two, three, four years down
45 the line.

46

47 MS. ROGERS: Thank you. And one more
48 question I had for you, in the research in regards to
49 the upcoming project that you're going to be doing, are
50

0112

1 you guys also taking into consideration the mining
2 effects on the spawning grounds in Canada in regards to
3 the eggs and salmon survival rate?

4
5 MS. GARCIA: This project, I believe
6 you're referring to the last one I presented on on the
7 nutrients and heat stress work, we're not explicitly
8 incorporating anything in regards to the mining. I do
9 believe that that's something that gets brought up
10 quite a bit at the Yukon River Panel meeting but it's
11 not something that we're considering in this project.
12 This project is mostly trying to link the food that the
13 salmon are eating in the ocean and the amounts of
14 nutrients that they have at the start of their
15 migration and how heat stress and disease during the
16 migration might make female chinook salmon less able to
17 reach their spawning grounds, or if they do reach their
18 spawning grounds and lay their eggs, if they're not
19 leaving their eggs with enough nutrients. So what
20 we're doing is when those females get to the spawning
21 grounds we take a few of their eggs and a piece of
22 muscle from the female and we try to find out how much
23 nutrients did she have stored and how much did those
24 eggs get. But not anything with mining.

25
26 MS. ROGERS: Thank you.

27
28 ACTING CHAIR NANENG: Thank you. I
29 just have one question. I've heard reports from our
30 good friends from up north saying that chinook salmon
31 are beginning to show up in their river systems and I
32 know that -- and they told me that they never had
33 chinook salmon in their river systems before, this must
34 be because of the cold weather or the cold water, but is
35 there someone taking a look at that aspect to find out
36 why they're moving up north?

37
38 MS. GARCIA: When you say up north, do
39 you mean in tributaries -- northern tributaries of the
40 Yukon or do you mean north into the Arctic?

41
42 ACTING CHAIR NANENG: Into the Arctic,
43 like Colville, what's that called Colville River and
44 the North Slope area?

45
46 MS. GARCIA: Oh, yes. There is a
47 group, I think it's actually through the University of
48 Alaska-Fairbanks and then there's a Canadian group that
49 is monitoring salmon into the Arctic and I can't
50

0113

1 remember the name off the top of my head but I can find
2 out and send it to Brooke so she can pass it on to you
3 but they are monitoring salmon expansion into the
4 Arctic and trying to figure out, you know, which
5 species of salmon are showing up in places where they
6 haven't been before. I haven't heard that chinook
7 salmon are entering those farther north areas but if
8 you're getting reports of it, I'm sure that these
9 groups that are focusing on salmon in the Arctic would
10 be really interested to hear about it. So I'll pass it
11 along to Brooke and she can pass it along to you.

12

13 ACTING CHAIR NANENG: Okay, thank you.
14 Any more questions from the Council members.

15

16 (No comments)

17

18 ACTING CHAIR NANENG: Tim, did you have
19 a question.

20

21 MR. ANDREW: Thank you, Mr. Chair.
22 Sabrina, thank you for your presentation. I was just
23 wondering about one of the food fish out other, caplin,
24 and I was just wondering how susceptible are caplin to
25 potentially be caught in bycatch fishery and if it is a
26 -- if it is harvested in the bycatch fishery, any idea
27 what the metric tons would be like, or the amount or if
28 it's quantifiable?

29

30 Thank you.

31

32 MS. GARCIA: Yeah, thanks for the
33 question. In terms of bycatch in the pollock fishery,
34 I'm not too sure if caplin are getting caught as
35 bycatch. What I could do is I can look on the NOAA
36 website and pass it along to Brooke if I find anything.
37 The only forage fish that I know of that is monitored
38 as a prohibited species in the bycatch is herring but
39 I'm not too sure about caplin. Caplin kind of have
40 these dynamics where they're really, really abundant
41 when the water is very cold so we typically only see
42 caplin in colder regimes of the Bering Sea and not
43 really during warmer years. Interestingly when we went
44 into the Northern Bering Sea survey this year we did
45 end up catching lots of caplin so it was a good sign to
46 see caplin, that waters are maybe getting a little bit
47 less warm than we've seen them in the last few years.
48 But I'll follow up with Brooke and let you know what I
49 find out about caplin caught as bycatch in the pollock
50

0114

1 fishery.

2

3 MR. ANDREW: Thank you.

4

5 ACTING CHAIR NANENG: Okay. Quyana.
6 Jackie.

7

8 MS. CLEVELAND: Hi, thanks for the
9 presentation. I found it very interesting and it
10 reminded me of one of the fish I caught after a flood
11 at home and I'm from Quinhagak, and I'm Jackie
12 Cleveland by the way. And then we noticed there was
13 activity in this freshwater pool that was an old gravel
14 site pit so from the flooding we know that there are
15 pike in there so we were trying for pike but we
16 actually caught a landlocked jack that looked like a
17 trout, maybe even a lake trout. So people were
18 confused whether it was a lake trout or a landlocked
19 jack. But are you guys finding, or is there research
20 that finds more crossover breeding or if that's even
21 something that exists from these floods and fish
22 getting landlocked, I guess?

23

24 Thanks.

25

26 MS. GARCIA: Yes, no problem. Thanks,
27 Jackie. You know I'm probably not the best person to
28 ask about freshwater side of things. My focus is
29 really on the marine realm. I would expect that the
30 managers, maybe Gerald or Deena might have a bit more
31 information on what's happening on the freshwater side
32 of things. Sorry I don't have an answer to your
33 question.

34

35 MS. CLEVELAND: It's okay, thanks, I'll
36 ask later.

37

38 MS. JALLEN: Yes, this is Deena Jallen
39 with Fish and Game. I might just add one little thing
40 unless Gerald wants to add some more. But, yeah,
41 thanks for that question, Jackie. It's not something
42 that we have heard about a lot.....

43

44 (Teleconference interference -
45 participants not muted - on hold)

46

47 MS. JALLEN:you know we did have
48 a lot of high water this spring so that could have
49 stranded fish in different places. There is a project
50

0115

1 that's going to go on that's going to start next
2 season, it's going to be a chinook salmon
3 radiotelemetry project where they're going to tag
4 chinook salmon in the lower Yukon and then they'll have
5 towers along the Yukon to see where those fish go and
6 so that will be super interesting. And I think they're
7 also going to try to pair that with genetics and with
8 other information that they can collect from those fish
9 before they get tagged. So, yeah, stay tuned next year
10 for some really good chinook salmon travel and
11 distribution information.

12

13 ACTING CHAIR NANENG: Any more
14 questions for Sabrina.

15

16 (No comments)

17

18 ACTING CHAIR NANENG: If not I thank
19 you for your report and the questions asked. So with
20 that we'll take a five minute break.

21

22 MS. GARCIA: Thank you, Mr. Chair.

23

24 ACTING CHAIR NANENG: Make sure it's
25 five so we can keep moving on the agenda.

26

27 (Off record)

28

29 (On record)

30

31 ACTING CHAIR NANENG: It's the
32 Kuskokwim River 2022 season summary, Fish and Wildlife
33 Service. How many fish did you catch?

34

35 (Laughter)

36

37 MR. MOSES: Thank you, Mr. Chair. I'll
38 have Spencer introduce himself first.

39

40 MR. REARDEN: My name is Spencer
41 Rearden, I'm the Supervisory Biologist here in Bethel
42 and I was part of the group that was with Fish and
43 Wildlife Service and the InterTribal Fish Commission
44 tried to help make decisions this last summer.

45

46 MR. MOSES: Thank you. And my name is
47 Aaron Moses again. I'm the Subsistence Resource
48 Specialist for Yukon Delta, and I'm also part of the
49 Kuskokwim River Fisheries Team. Our team, on the Fish
50

0116

1 and Wildlife side is comprised of Spencer, Boyd
2 Blihovde, our in-season manager. He had prior family
3 commitments and he said sorry for that, he'll see you
4 guys in the spring. We have Chris Tulik, our RIT from
5 Nightmute and Emmitt -- our new one is Emmitt Nicori
6 originally from Kwethluk and now living in Napakiak.

7
8 So for the 2022 season we work closely
9 with the InterTribal Fish Commission and the Alaska
10 Department of Fish and Game to manage chinook and chum
11 salmon on the Kuskokwim River. In the spring Yukon
12 Delta and the Fish Commission continued its joint river
13 salmon management strategy and harvest strategy. These
14 strategies were developed according to the following
15 guidelines and guiding principles; avoiding collective
16 overharvest of chinook and chum salmon populations
17 within the Kuskokwim River watershed due to application
18 of a precautionary approach to harvest management --
19 oh, sorry, all this is in your book on Page 52 -- sorry
20 about that.

21
22 Also to integrate meaningful local and
23 traditional knowledge into the fisheries management
24 decisionmaking process. Strive to provide continued
25 customary and traditional subsistence harvest.
26 Substantially [sic] manage other currently healthy
27 salmon populations within the Kuskokwim River
28 watershed. And uphold Federal fisheries conservation
29 and stock diversity mandates.

30
31 For the 2022 season, we issued five
32 emergency special actions during the June 1st and June
33 11th front end closure, three 16 hour setnet gillnet
34 opportunities were provided. After the front end
35 closure there were four 12 hour set and driftnet
36 opportunities and four setnet only opportunities
37 resulting in 200 hours of fishing during the June and
38 July fishing season. All fishing opportunities were
39 limited to six inch or less gillnets to conserve larger
40 chinook salmon which are predominately female. And
41 then going all the way to August, on August 15th the
42 Alaska Department of Fish and Game managers closed the
43 Kuskokwim River main stem and all salmon bearing
44 tributaries to all methods and means for coho salmon
45 based on the available information on the date of the
46 closure. The Bethel test fish CPEU was the slowest in
47 22 years and the Kogrukuk and Kwethluk River had
48 record low coho salmon passages. On August 16th Yukon
49 Delta and the Fish Commission met and there was a
50

0117

1 consensus to continue monitoring the coho salmon run
2 but to not issue any Federal restrictions. The
3 decisions were based on Alaska Department of Fish and
4 Game closure was more flexible to the local subsistence
5 user, users were allowed to fish in areas traditionally
6 used for whitefish which was different than originally
7 proposed. The number for coho salmon were so low both
8 parties were not able to justify announcing a
9 subsistence opening during the closure dates.

10

11

12 Also subsistence management in
13 September had lead to the realization that managing the
14 fishery from June 1st to September 30 may become the
15 new normal on the Kuskokwim River. Yukon Delta
16 National Wildlife Refuge needed more Staff and
17 resources to effectively manage these salmon species
18 for this new duration of time.

18

19

20 For in-season subsistence harvest.
21 Federal subsistence fishing opportunities resulted in
22 the harvest of 57,790 salmon from 996 interviews from
23 the portion of the Refuge from the Fish Commission and
24 Orutsararmut Native Council conduct in-season harvest
25 monitoring surveys. Most of the estimated harvest for
26 2022 was chinook salmon at 51 percent, at 29,300
27 followed by sockeye salmon 43 percent, 24,840 and chum
28 salmon which was six percent at 3,650. All this
29 harvest information is at the end on Page 59 where it's
30 detailed from each opening.

30

31

32 Some new information from the three
33 river index from the Alaska Department of Fish and
34 Game, a preliminary run total came out to be 143,622
35 chinook salmon with a total escapement of 105,774 with
36 a harvest drainage-wide for the whole Kuskokwim to be
37 37,848.

37

38

39 Just a little bit in to how each
40 species managed on the Kuskokwim, or how it went.

40

41

42 For chinook salmon, it met all of its
43 -- they met all their weir based escapement goals which
44 were the George River, Kogrukluuk and Kwethluk. Chum
45 salmon did not -- no, wait, where is it -- oh, the chum
46 salmon have one escapement goal on the Kogrukluuk which
47 is 15 to 49,000, at the end of the year the weir count
48 was 15,471, that's different from what is on here, just
49 updated. For sockeye salmon, the Bethel sonar counted
50 606,400 sockeye salmon passed the Bethel sonar. And

50

0118

1 there's one weir-based escapement goal on the Kogrukluk
2 with an escapement of 4,400 to 17,000 and it ended up
3 being 10,278. For coho there are two weir-based
4 escapement goals, one on the Kogrukluk and Kwethluk.
5 The Kogrukluk towards the end of the season was
6 inoperable due to high water so they weren't able to go
7 through the whole season. And on the Kwethluk River at
8 the end of the season there was a count of 6,291 and
9 the escapement goal for the Kwethluk is greater than
10 19,000 so both weirs did not meet their escapement
11 goals for coho.

12

13 With that I'll be glad to answer any
14 questions.

15

16 ACTING CHAIR NANENG: Any questions
17 from the Council members.

18

19 (No comments)

20

21 ACTING CHAIR NANENG: Okay. If not
22 anything to add there Spencer.

23

24 MR. REARDEN: Just a little description
25 of how we go about trying to make some decisions with
26 our in-season management. So obviously Fish and
27 Wildlife Service has assumed jurisdiction and we work
28 closely with the InterTribal Fish Commission. And what
29 they bring to the table is the local voice from up and
30 down the river, which is very important, right, we need
31 the buy-in of the local people to help us make good
32 decisions.

33

34 I feel fairly fortunate that the 2022
35 season that we've had relative to what I'm hearing on
36 the Yukon, we had openers, you know, we had some
37 satisfaction. We know it's not enough. We know fish
38 are getting smaller. We know opportunities, in
39 general, they're getting fewer. And our biggest worry
40 now are chum and coho, I mean those are new things.
41 Chum two years in a row, coho the first time. So we
42 got a lot more challenges ahead of us but I think we've
43 got a good recipe for the right people. With the Fish
44 Commission, they bring in expertise, they bring in
45 other university fish biologists that are pretty high
46 caliber people that give us a new way to look at
47 things. We got local knowledge introduced into these
48 meetings through the Fish Commission. We have that on
49 our agenda each time we meet to make sure that we don't
50

0119

1 skip over it. We try to reach out to the general
2 public with our meetings. We had meetings set up most
3 likely towards the end of winter is when we start
4 hitting the road, kind of getting to the villages. We
5 know the pandemic kind of stymied some of our efforts
6 but we look forward to getting out there and doing the
7 same thing again. And one of the questions we often
8 ask and we want people to keep thinking, is what did
9 you like or what you didn't like about how we've been
10 doing things, good or bad, you know, we're always
11 looking for ways to improve.

12

13 And so we kind of have an open door
14 policy and we hope that people will still engage with
15 us whenever we can. This is a very high priority for
16 the Refuge. We come together and we look at what are
17 our highest priorities but we got a very short Staff,
18 we don't even have a fish biologist yet, we're having
19 trouble trying to hire a fish biologist. It's over six
20 months and we still don't have it advertised. We had
21 -- we borrowed a fish biologist to help us with some of
22 the interpretations of the data but we're looking to
23 build. We're trying to hire a Deputy Manager right
24 now. We just recently hired an assistant manager. So
25 we feel we need to gear up a little bit because the
26 challenges are just going to keep on building, but at
27 the same time we look forward to what the Fish
28 Commission has brought to the table. They get us to
29 look at things a little differently with their
30 expertise and different views and that's what we're
31 here for and that's what we're supposed to be doing.
32 And the local component is what makes it work as best
33 we can.

34

35 But there will be more challenges, I'm
36 afraid. I haven't seen any real good news coming our
37 way yet and that makes me worry, but we're in it
38 together, we got the right people, so thanks.

39

40 ACTING CHAIR NANENG: Yeah, Quyana.
41 Any comments from the Council members.

42

43 MR. PETER: Mr. Chairman. A little bit
44 comment. Concerning fishing in the Kuskokwim, you know
45 from the mouth to the end how many setnets are set in
46 the river. I always get curious, you know, maybe a few
47 -- a few setnets are in the river and the other concern
48 I have is the opening. When the ADFG opens the Federal
49 wild -- wildlife opens we need to fix that. You know,
50

0120

1 when I was a commercial fishermen the State of Alaska
2 set the nets -- sent us the hours, set hours. When
3 there's no runs they gave us six hours commercial
4 fishing. But when the run is heavy they gave us 12
5 hours in the days, Monday, Wednesday, Friday we used to
6 fish in the river, commercial fishing.

7
8 Like in the morning 6:00 a.m., opening,
9 12 hours, before 12 hours all the Kuskokwim River is
10 empty. Empty. Drifters in my hometown, nobody
11 fishing. Even though we have another six hours, but
12 nobody going down to fish. Maybe from the Y all the
13 way to Tuluksak, maybe the river is empty. Six hours
14 wasted. Because of -- you know this year the weather's
15 different. Really different. Really calm, really
16 sunny. But in the morning it was all right, we got
17 cold weather, sometimes -- sometimes we hit into fog
18 and we need to start talking about controlling the
19 Kuskokwim just like commercial fishing, a lot of boats
20 in the morning were fishing, crowded. Sometimes I
21 think about my elders when they're -- sometimes I think
22 about my elders. If they see so many -- long time ago
23 when our elders were here, when they tell us to fish,
24 we fish. When our limit is done, we're done. We don't
25 use dog teams no more. But only few recreations for
26 racing in wintertime. But so many fishermens first
27 opening, so many fishermen. Even though so many
28 fishermen are out there it depends on their nets. If
29 you make them good you catch, if you mend them, hung
30 them, wrong way you will not catch fish.

31
32 So the escapement. I wonder how many
33 escapements this year for chinooks and chums and
34 sockeye totally going into tributaries. You know we
35 have high water all summer long, I know. Raining.
36 Raining all the time in July. Start raining and the
37 high water comes in in the Kuskokwim and some of the
38 weirs didn't work so well. I wonder when the high
39 waters, you check out the weirs how many fish are going
40 through or just idle for not checking.

41
42 Thank you, Mr. Chairman.

43
44 ACTING CHAIR NANENG: Quyana, Phillip.

45
46 MR. MOSES: Yeah, through the Chair.
47 Quyana, I could address a couple of those questions and
48 I could address one of the questions that Mr. Parks had
49 about the 6:00 a.m. I'll start off with the setnet
50

0121

1 numbers. If you look on Page 59 on the effort, the
2 most setnet numbers that we've seen on the Kuskokwim
3 were 146 and that's the most that we've seen on the
4 Kuskokwim since we've been doing this. And if you look
5 at the top -- the top of it, when you see those 457,
6 these are the driftnet boats, these are the amount of
7 boats that are out during these opportunities that we
8 are estimating with the Fish Commission and ONC, and so
9 you could see that in the beginning there were about
10 457 boats, 473, 572, and then when it gets into July it
11 gets -- it went way down to 147. But for a lot of the
12 setnets we're consistently seeing about 70 or 80
13 setnets on the Kuskokwim during those openings.

14

15 As for hours, that's one of the things
16 that Spencer talked about when we went to the villages
17 and asked what's going good and what's going bad, a lot
18 of the villages stated that they wanted the elders to
19 fish early so they wanted to have it at 6:00 a.m., so
20 that the elders could go out before all the young
21 people wake up they said.

22

23 (Laughter)

24

25 MR. MOSES: And so that's one of the
26 ones that we go to the villages and ask what's right,
27 what's going right and what's going on, what would we'd
28 like to change. And so I don't remember when that was,
29 I think it was around 2018, that's when we started
30 going from 6:00 a.m., to 6:00 p.m.

31

32 And as for this year, escapement again,
33 the total escapement for chinook was 105,774.

34

35 So.

36

37 ACTING CHAIR NANENG: Yeah, Quyana.

38 John.

39

40 MR. ANDREW: Thank you, Mr. Chairman.
41 My name is John Andrew from Kwethluk. We are changing
42 the way we fish nowadays. Most of my friends and the
43 people about my age, or pretty close to my age or
44 younger they rather fish early in the morning before
45 the heat of the day. They all said they do better the
46 first few hours. I always like it that way so I can
47 get done with my fishing and get my relatives they
48 could come down and cut the fish before noon. And some
49 of us, for this year, didn't fish setnet or driftnet in
50

0122

1 June, our elder waited until July 3. On July 3, like I
2 mentioned before, I did good that morning. It was a
3 short setnet. I think I got lucky but I got up early
4 before my other relatives could borrow my boat or run
5 away with my setnet.

6

7

(Laughter)

8

9

10 MR. ANDREW: I got 82 in that morning
11 in about three hours and I was done for the day. And I
12 called my relatives and said the fish is waiting to
13 work at the camp and they came down to help and gave
14 some of them away too and then they borrowed my setnet
15 and boat same day and then the rest of July I didn't
16 bother to -- I didn't go out to fish no more, until I
17 was hoping to fish for silvers because a lot of us like
18 to salt them, freeze them, jar them and they keep
19 longer that way because -- and if you work on fish on a
20 rainy day they get moldy easy. And we were
21 disappointed because one of those working group or --
22 or, yeah, the working group meeting we asked the State
23 -- or the mangers there to have the Feds take over the
24 -- because there was a conservation concern on the coho
25 run too. We were just a little -- because we wanted at
26 least a chance to fish for a taste of fish. And under
27 Title VIII our people that subsist are guaranteed
28 subsistence priority and you know we didn't see that
29 this summer. And usually the four villages, when we
30 met, they were talking about this one and they even
31 asked -- I think they even asked the InterTribal Fish
32 Commissioners the same question and they didn't follow
33 up on it. I know they didn't -- the Department then
34 gave it to you folks and you folks did not -- I heard
35 -- I heard it around that the Refuge refused to take
36 the management over (indiscernible) conservation. That
37 was one big disappointment for us at the villages. But
38 the people that work in there along with the State
39 Staff, we want to (indiscernible) right now, thank you.

39

40

41

42

43

44

45

46

47

48

49

50

ACTING CHAIR NANENG: Quyana, John.
Quyana, gentlemen for your report. The Kuskokwim River
salmon summary. On the agenda we have the Kuskokwim
River InterTribal Fish Commission. Kuskokwim River
InterTribal Fish Commission.

45

46

47

48

49

50

MS. SCHOMOGYI: Good afternoon.....

45

46

47

48

49

50

REPORTER: Push the little.....

0123

1 MS. SCHOMOGYI:my name is.....

2

3 REPORTER: There you go.

4

5 MS. SCHOMOGYI: Good afternoon. Now
6 you can hear me?

7

8 (Council nods affirmatively)

9

10 MS. SCHOMOGYI: Maybe it's good evening
11 at this point. Through the Chair. My name is Terese
12 Schomogyi. I'm the Programs Manager with the Kuskokwim
13 River InterTribal Fish Commission. I've been here
14 about two years now. I'm really happy to be at my
15 first RAC meeting in person and meet you all. So I
16 will be providing the Fish Commission's fall update on
17 behalf of our Commission.

18

19 So the InterTribal Fish Commission
20 represents the 33 Federally-recognized tribes of the
21 Kuskokwim River in fisheries management, research and
22 monitoring. And we do this to protect the health of
23 the salmon fishery on the Kuskokwim as well as to
24 protect all of your traditional way of life. You can
25 find our report on Page 60 of your meeting packet.

26

27 I'll be brief.

28

29 The first bit of the report shows our
30 leadership and Staff, our Executive Council that was
31 voted in in April. There are some updates to our
32 Staff. Kevin Whitworth is our new Executive Director.
33 He took this position in an interim role in April after
34 Mary Peltola left to run for Congress, and since
35 September 1st he has been our formal, official
36 Executive Director. Andrew Magel is in the back of
37 room, Andrew if you want to give a wave, he's been with
38 us since August. He's our new Fisheries Technician and
39 he's a Jesuit volunteer. And as of a week or two ago
40 we hired an operations manager, Nikki Pollock, she was
41 born and raised in Bethel and she's an enrolled tribal
42 citizen at ONC. We're really happy to have her
43 onboard.

44

45 I think Aaron Moses and Spencer Rearden
46 from Yukon Delta gave a really good overview of our
47 salmon management this summer. The 2022 season was the
48 seventh season of collaborative management between the
49 Fish Commission and Yukon Delta. We are really

50

0124

1 grateful for that partnership. And at this point, with
2 the model that we've established for a collaborative
3 management we're really hoping that that can be taken
4 up between tribes and Federal agencies throughout the
5 state of Alaska. As Spencer said it's really good that
6 we have local voices managing the fishery. We're
7 really grateful for those who are involved, many of you
8 RAC members are involved in different ways with the
9 Fish Commission.

10

11 In April, our Commissioners elected
12 five in-season managers, up from four in previous
13 years, to manage the fishery with Yukon Delta. Those
14 in-season managers are Betty Magnuson from McGrath,
15 Megan Leary from Napaimute, Mike Williams, Sr., from
16 Akiak, Avery Hoffman from Bethel, and Paul Cleveland
17 from Quinhagak. So that's riverwide representation
18 that was sitting at the table with the Federal
19 government to manage Federal waters of the Kuskokwim
20 River.

21

22 Aaron and Spencer gave an overview of
23 the Joint Salmon Management Strategy that our teams
24 worked on before and during the salmon season. And
25 I'll give a couple updated numbers for salmon harvest
26 that have come out just this past week. I've been
27 working with some other members of our team on
28 finalizing that report and we'll send it out to the
29 public as soon as it's available.

30

31 But in Federal waters of the Kuskokwim
32 River, specifically between Tuntutuliak and Akiak, we
33 estimate that about 58,940 total salmon were harvested,
34 29,920 of these were kings, 25,400 of these were reds
35 and 3,630 of these were chum. We don't have in-season
36 harvest estimates for coho salmon at this time and
37 these numbers will be expanded and refined with the
38 Alaska Department of Fish and Game's post season
39 household survey.

40

41 During the 2022 salmon season we
42 operated several salmon research and monitoring
43 programs. These included a smolt out-migration or
44 screw trap on the Kwethluk River that counted and
45 identified salmon smolt as they were leaving the
46 Kwethluk system. We partner this program with the
47 Kwethluk River weir which counts the adult salmon that
48 go into spawn so we can get a sense of how many fish
49 leave the river and how many come back. We also

50

0125

1 operated the Takotna River weir. We operated our
2 community based harvest monitoring program in eight
3 villages in the lower river. And with some other
4 information provided by ONC and by Yukon Delta National
5 Wildlife Refuge we're able to produce in-season harvest
6 estimates after different openers with that information
7 that we got directly from local fishermen in those
8 villages. We also piloted an environmental DNA project
9 at the Kwethluk River weir. This is also known as eDNA
10 and essentially what it does is takes water samples
11 from the river and filters out different fish DNA found
12 in fish slime, fish excrements, things like that and
13 then we can analyze that DNA in the lab after the
14 season and get a sense of how many fish were in the
15 river at that time. We're hoping to expand that
16 project in coming seasons and hoping to analyze those
17 samples at UAF this winter.

18
19 As for advocacy work, we've been
20 involved at the North Pacific Fishery Management
21 Council pushing for reductions in bycatch in the Bering
22 Sea Aleutian Island pollock fisheries as well as for
23 increasing tribal involvement and the involvement of
24 indigenous knowledge in their processes. We have also
25 submitted some proposals to the Board of Fish. Serena
26 Fitka mentioned Proposal 140 about reducing commercial
27 fishing time in Area M. That will be discussed further
28 at this meeting, I think. That's something that we
29 have supported. And we're also now a part of the
30 Arctic Yukon Kuskokwim Tribal Consortium with the Yukon
31 River InterTribal Fish Commission, AVCP, TCC and
32 Kawerak. And this tribal consortium represents 118
33 tribes in Western and Interior Alaska with the goal of
34 restoring, maintaining and conserving the health and
35 diversity of the Bering Sea ecosystem from rivers to
36 the ocean. This tribal consortium has been doing a lot
37 of work, for example, helping organize the tribal
38 consultations that the Department of Interior and NOAA
39 put on earlier this month here in Bethel and also in
40 Fairbanks. That's something we're actively working
41 within and with those tribal partners to push for
42 restoration of our salmon populations.

43
44 And I also wanted to give a brief
45 overview of our Kuskokwim River salmon situation
46 report, which looks like this. It's not in your
47 meeting booklet but I believe Brooke gave it to you all
48 ahead of time, and if not -- oh, she'll give it to you
49 now and for members of the public it's on the back
50

0126

1 table, you can grab a copy if you'd like. We didn't
2 finalize this before our meeting materials were due but
3 we're happy to have this first version of our situation
4 report right now. And I'll let you look it over in
5 your time, but to be brief, it discusses the multi-
6 species, multi-year salmon collapses that we're
7 experiencing on the Kuskokwim with the declines of
8 chinook, chum and now coho salmon. And it walks
9 through the data, the Western scientific data but also
10 indigenous knowledge and local observations and uses
11 all of this information to build a story of what's
12 going on on the Kuskokwim. Some things that we note in
13 this report are that because of the continued
14 sacrifices and conservation efforts by Kuskokwim
15 subsistence communities, we've been able to meet
16 chinook salmon escapement goals, but those sacrifices
17 mean that subsistence harvesters are only meeting about
18 one third of their long-term subsistence -- chinook
19 salmon subsistence harvest needs. Chum salmon remain
20 continually low on the Kuskokwim River. The 2022 chum
21 salmon returns at the weirs that they have monitoring
22 chum were down 70 to 84 percent of long-term averages.
23 And 2022 is the third year of an alarmingly steep
24 decline of coho salmon. 2022 abundance of coho was
25 down 57 percent at the Bethel test fishery and data
26 shows that these declines began around 2019.

27
28 There are lots of sockeye in the
29 Kuskokwim it seems, which is something we're grateful
30 for but it is difficult for our subsistence communities
31 to harvest those with all the different gillnet
32 restrictions that go on while the sockeye are running.

33
34 In this situation report we also talk
35 about some of the factors causing these salmon
36 declines. We know there are lots of different things
37 at play. But it's very clear to us that the intercept
38 of chum salmon in the South Alaska Peninsula, also
39 known as Area M, as well as bycatch of chinook and chum
40 salmon in the Bering Sea pollock fishery definitely
41 have a hand in these salmon declines. And, moreover,
42 they're something that we can control directly through
43 management actions. So we focus on these. There's
44 some new data in this report that shows that about 57
45 percent, on average, of the chum salmon caught in the
46 Area M June Fishery were bound for Coastal Western
47 Alaska rivers which includes the Kuskokwim River.
48 That's almost 10 times the impact that the Bering Sea
49 pollock fishery chum bycatch has on intercepting chum
50

0127

1 salmon bound towards our area.

2

3

4 I think I'll wrap up there. I have
5 some more I could share but I want to be respectful of
6 everyone's time and give you all time to look over the
7 situation report. So with that, Quyana, and I'm happy
8 to take any questions you might have.

8

9 ACTING CHAIR NANENG: Quyana. Any
10 questions from the Council members.

11

12 Go ahead, Jackie.

13

14 MS. CLEVELAND: Quyana, Chair. I might
15 be asking too soon but I remember we spoke of
16 documenting the local knowledge and is that for the
17 near future to start or has it started yet?

18

19 MS. SCHOMOGYI: Thanks for the
20 question, Jackie. Through the Chair. What Jackie is
21 referring to at a strategic planning retreat that the
22 Fish Commission had earlier this year, our Staff was
23 directed to begin documenting indigenous knowledge
24 which is something that we're really excited to do. We
25 have applied for a grant with Indian Collective to
26 begin planning for some of that, have yet to hear back.
27 We're actively pursuing more funding to try to figure
28 out what we want to do. So if you all have suggestions
29 about indigenous knowledge you think would be useful
30 for the Fish Commission to document and how that might
31 look, come find me, I'm very interested to hear what
32 you have to say.

33

34 MS. ROGERS: Mr. Chair.

35

36 ACTING CHAIR NANENG: Yes.

37

38 MS. ROGERS: Thank you. Through the
39 Chair. Some of that traditional knowledge is already
40 being started. If you want to get a hold of Janessa
41 Esquible, she's currently working on a project called
42 Kusko (In Yup'ik) where she gets historical knowledge,
43 past history knowledge of how fishing was conducted,
44 how it's being done now and what our future is going to
45 be looking like and how we're going to be -- changes of
46 our traditional practices. There's going to be a
47 meeting this November that you might be participating
48 in so just to let you know there's -- if you want to
49 partner with them they would appreciate all the help
50

0128

1 they can get.

2

3 Thanks.

4

5 ACTING CHAIR NANENG: Response -- no --
6 okay, Quyana, Alissa. Any other questions.

7

8 (No comments)

9

10 ACTING CHAIR NANENG: If not, thank you
11 very much for your update and report.

12

13 MS. SCHOMOGYI: Thank you.

14

15 ACTING CHAIR NANENG: Okay. Going down
16 the agenda we have a missing person, meaning that one
17 who was going to give the report on the -- okay, I was
18 looking at a note that she had disappeared but she's
19 back, the humpback fish project update -- whitefish
20 project update.

21

22 MS. MCDAVID: Mr. Chair. I believe
23 Frank Harris is on the line and he's prepared to give
24 that update.

25

26 ACTING CHAIR NANENG: Okay.

27

28 MS. MCDAVID: Frank, are you with us.

29

30 MR. HARRIS: Yeah, I'm here, can you
31 hear me.

32

33 ACTING CHAIR NANENG: Go ahead.

34

35 MR. HARRIS: Okay. Yeah, good
36 afternoon, Mr. Chair. Members of the Council. For the
37 record my name's Frank Harris, I'm a Fisheries
38 Biologist with the U.S. Fish and Wildlife Service,
39 Kenai Fisheries Resource Office.

40

41 And I just wanted to present a little
42 bit about the -- it's actually a broad whitefish
43 project that we're conducting. It's an effort to
44 collect the baseline information and address
45 subsistence fishery concerns about seeing fewer broad
46 whitefish than in the past. The Orutsararmiut Native
47 Council, the Native Village of Napaimute and the U.S.
48 Fish and Wildlife Service have begun a four year study
49 of broad whitefish spawning in the Kuskokwim River near
50

0129

1 McGrath, Alaska. So broad whitefish have multiple
2 spawning areas but this is just the one area that we're
3 studying and it's near McGrath. This project was
4 funded by OSM during the 2022 FRMP funding cycle.

5
6 The purpose of this study is to
7 estimate the number of broad whitefish on the spawning
8 grounds between McGrath and Medfra, estimate harvest
9 rates of the spawning aggregate in the Kuskokwim River
10 and describe population demographics, such as age and
11 weight.

12
13 To accomplish this U.S. Fish and
14 Wildlife Service, with the help of ONC will be using
15 electrofishing techniques to capture, mark and
16 recapture these tagged broad whitefish. Since most
17 broad whitefish spawn every other year, so they'll
18 spawn multiple times throughout their life but usually
19 it's every other year, it will take several years of
20 sampling to estimate the total number on spawning in
21 the area. Tagging will occur in the fall and last
22 about six to eight weeks.

23
24 During 2022, this fall, we began on
25 August 22nd and tagging ended October 11th, just as the
26 ice started to run. In 2022 we had one tagging crew
27 and we tagged 628 broad whitefish. In 2023 we will
28 have two crews sampling to maximize the number of fish
29 we can tag. We anticipate similar timing for the
30 remaining three years.

31
32 Excuse me one second here.

33
34 These tags, they're long and grey and
35 they are located near the dorsal fin. They have a tag
36 number, each one is individually -- has an individual
37 tag number and then each one has a 1 800 phone number
38 listed on it to call the Fish and Wildlife Service to
39 report the tag. Additionally, tags can be reported to
40 ONC, NVN, and the Yukon Delta National Wildlife Refuge.

41
42 After these broad whitefish are done
43 spawning in mid- to late October, broad whitefish will
44 drop back down stream of McGrath and overwinter. Some
45 of these fish will travel as far down stream as
46 Tuntutuliak and we know from previous tagging studies
47 that some of these fish will be harvested down stream
48 of McGrath. As part of our study we will need to
49 estimate mortality from the harvest and this is where
50

0130

1 the help of the subsistence fishers come in. When you
2 catch a tagged broad whitefish, we would ask that you
3 call that 1900 number and we'd like to know the date
4 caught, location, tag number, your name, the village
5 you live in, and a phone number so we can call you back
6 if we need to and we're going to enter this into a
7 monthly drawing for a gas card. Additionally, there
8 will be a yearly grand prize gas card. It's going to
9 be a substantial amount.

10

11 The data from these tagged recoveries
12 will be used to estimate from this population and
13 inform researchers how many tags are no longer in the
14 population and are available for recapture in the
15 future. So getting all the tagged fish reported is
16 very important for accurate estimates and we appreciate
17 everyone's help on this.

18

19 I thank you for your time and I'm
20 available to answer any questions you may have.

21

22 ACTING CHAIR NANENG: Any questions
23 from the Council members.

24

25 (No comments)

26

27 ACTING CHAIR NANENG: If not thank you
28 for your report. It would be nice to have a
29 frozen.....

30

31 (Laughter)

32

33 MR. HARRIS: All right, thank you.

34

35 ACTING CHAIR NANENG:whitefish --
36 it would be nice to have a frozen whitefish right now.

37

38 (Laughter)

39

40 TUNTUTULIAK: (Indiscernible) from
41 Tuntutuliak.

42

43 ACTING CHAIR NANENG: Yeah, go ahead
44 Tuntutuliak, make it short please. Thank you.

45

46 TUNTUTULIAK: (Indiscernible) people
47 that are studying on the whitefish and they're -- the
48 beavers are making dams where they're going to spawn
49 and there are lots of pike -- the pike predators, there
50

0131

1 are -- they're good for -- the pikes are good for
2 fishing springtime, we eat them around -- and them
3 black fish, they got good eggs, when we eat them, we
4 can eat them raw, cooked or frozen. And I like the
5 study right now. I haven't heard about that -- but the
6 pikes are really (indiscernible).

7

8 Quyana.

9

10 MR. HARRIS: Thank you for that
11 information.

12

13 ACTING CHAIR NANENG: Okay, Quyana. If
14 there's no other comments regarding the humpback
15 whitefish project we'll go on to the next agenda item
16 and that's the proposal presentation procedure and I'll
17 ask Brooke to provide that.

18

19 MS. MCDAVID: Thank you, Mr. Chair. So
20 we're at the point of the meeting where the Council is
21 about to take up the Alaska Department of Fish and Game
22 fisheries proposals. Just as a reminder there is a
23 procedure for each proposal that we follow. That could
24 be found on Page 119 of your meeting books. There's
25 also a handout of the procedures, standalone, on the
26 back table back there. Just as a reminder to the
27 Council, for your regional proposal, there's only one
28 so you have to take that one up. But for the crossover
29 proposals, if we -- I guess the Council needs to sort
30 of decide before Staff presents the analysis if those
31 are something you do want to take up or if you want to
32 defer to the RACs in those regions. If the Fisheries
33 Staff does begin to present the analysis, at that point
34 we will have to go through the whole procedure for
35 those proposals. So just a little housekeeping
36 announcement about the proposals.

37

38 Thank you.

39

40 MS. ROGERS: Mr. Chair.

41

42 ACTING CHAIR NANENG: Go ahead, Alissa.

43

44 MS. ROGERS: Thank you, Mr. Chair.
45 Through the Chair. I propose an agenda change that we
46 start taking up proposals first thing in the morning.
47 I'm a little bit brain fried right now and we're going
48 to get bogged down and we're going to be sitting here
49 all night trying to figure out what we're -- what

50

0132

1 process that we're just now hearing. So I think if
2 it's okay we take up the proposals in the morning and
3 move on to the next agenda item.

4

5 (Pause)

6

7 ACTING CHAIR NANENG: Okay, we'll go
8 into the proposals tomorrow morning when everybody has
9 had a chance to dream about them all night.

10

11 (Laughter)

12

13 ACTING CHAIR NANENG: So let's go on to
14 the temporary -- Agenda Item No. D, on Temporary
15 Fisheries Special Actions.

16

17 (Pause)

18

19 MS. ROGERS: What page is it on?

20

21 ACTING CHAIR NANENG: Page -- it
22 doesn't say.....

23

24 MS. ROGERS: It doesn't say.

25

26 ACTING CHAIR NANENG:but it will
27 be before -- 213.

28

29 (Pause)

30

31 ACTING CHAIR NANENG: Whenever you're
32 ready.

33

34 MR. FOLEY: Thank you, Mr. Chair.
35 Members of the Council. Good evening. My name is
36 Kevin Foley for the record and I am a Fish Biologist
37 with the Office of Subsistence Management. This is my
38 first time appearing before you and I want to say thank
39 you. I would be lying if I didn't say I was a little
40 nervous right now but I am very humbled by the amount
41 of collective knowledge that this Council represents.
42 So thank you.

43

44 I'm here to provide you with
45 information and bring to the Council's attention a
46 temporary Federal special action that OSM is in the
47 very early stages of our analysis. This is just a
48 briefing and is not an action item for this meeting.

49

50

0133

1 The temporary Federal special action
2 request, FSA23-01 was submitted by the Native Village
3 of Quinhagak and requests to limit the harvest of
4 chinook and chum salmon on the Kanektok River in June
5 to only Federally-qualified rural residents until the
6 next regulatory cycle. The request notes that chum
7 salmon throughout Western Coastal Alaska are in serious
8 decline with the poorest returns on record and
9 escapement goals through the AYK region are largely
10 being unmet. They also state that chinook salmon have
11 been in a long period of decline statewide.

12
13 This request was originally received by
14 OSM as a proposal to modify Federal subsistence fishing
15 regulations during the 2023 and 2025 fisheries
16 regulatory cycle. However, the application was
17 received after the application period closed and could
18 not proceed during this cycle. In June of this year,
19 OSM Staff worked with the Native Village of Quinhagak
20 to have the proposal resubmitted as a temporary special
21 action request for the 2023 and 2024 seasons.

22
23 (Pause)

24
25 MR. FOLEY: We are just starting the
26 process of analyzing this request and don't have
27 additional information to provide you at this time. As
28 it is a temporary special action request there will be
29 public hearings to seek input. There will also be
30 tribal and ANCSA Corporation consultations. As we
31 received this request so early the Council will take up
32 this at your winter 2023 meeting and provide a
33 recommendation to the Federal Subsistence Board.

34
35 Once, again, for the record, I'm Kevin,
36 a Fish Biologist with the Office of Subsistence
37 Management. Thank you, Mr. Chair and Members of the
38 Council for your time. This concludes my presentation
39 on FSA23-01. And I'm standing by for any questions you
40 may have regarding this agenda item.

41
42 MS. ROGERS: Mr. Chair.

43
44 ACTING CHAIR NANENG: Go ahead.

45
46 MS. ROGERS: Thank you, Mr. Chair.
47 Through the Chair. Do you have any paper documentation
48 on this or justifications and all the analysis of this
49 yet or is this just an introduction that this has come
50

0134

1 about?

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

MR. FOLEY: Through the Chair. Ms. Rogers. This is just an introductory information for the Council to be looking out for in the future.

Thank you.

ACTING CHAIR NANENG: Any other questions.

(No comments)

ACTING CHAIR NANENG: Okay. Going down the agenda items we're going to take the fish 2024 fisheries tomorrow morning too as well, so we'll go down to Item F, Partners for Fisheries Monitoring Program updates. Is someone online or someone in person going to provide the update.

(Pause)

MR. FOLEY: One moment, Mr. Chair.

(Pause)

MR. FOLEY: We're taking the Fisheries Resource Monitoring Program Update, is that correct?

ACTING CHAIR NANENG: Yes.

MR. FOLEY: Thank you, Mr. Chair. Mr. Chair. Members of the Council. Again, this is.....

MS. MCDAVID: Sorry, Kevin. Just to jump in. We're going to skip the FRMP update and the PIN update because there'll be more discussion for that and we'll do that in the morning if that's okay, and move on to the Partners update if that's okay.

MR. FOLEY: Okay. Yeah, that's fine.

MS. MCDAVID: Thank you.

MR. FOLEY: Thank you. Let me just find that please.

(Pause)

0135

1 MR. FOLEY: All right. Mr. Chair.
2 Members of the Council. Once again my name is Kevin
3 Foley and I'm your Fish Biologist with the Office of
4 Subsistence Management. On October 20th the Office of
5 Subsistence Management posted a notice of funding
6 opportunity for the Partners for Fisheries Monitoring
7 Program. This is a competitive grant for Alaska Native
8 and rural non-profit organizations. The intent of this
9 program is to strengthen Alaska Native and rural
10 involvement in Federal subsistence management by
11 providing salary funds to organizations so they can
12 hire a professional biologist, social scientist or
13 educator. The grant also provides funds for science
14 and culture camps and paid student internships.

15
16 More information on this funding
17 opportunity is available on grants.gov and grant
18 solutions. You may also contact Karen Hyer by way of
19 email or phone and Karen's contact information is at
20 the bottom of Page 222 of your Council booklet.

21
22 Thank you, Mr. Chair. Members of the
23 Council. This concludes the Partners for Fisheries
24 Monitoring Program update.

25
26 ACTING CHAIR NANENG: Thank you. Any
27 questions from the Council members.

28
29 (No comments)

30
31 ACTING CHAIR NANENG: I just have one
32 question. So the grant can be for anything to monitor
33 projects, other than fish, or just fisheries related?

34
35 MR. FOLEY: Perhaps my colleagues in
36 the room may be better informed to address that
37 question.

38
39 MS. KENNER: Thank you, Kevin. Yeah,
40 this is Pippa Kenner with OSM. I'm not the most
41 familiar person with the Partners Program but I do know
42 that basically what it does is funds positions, like
43 for instance in our non-profits, so ONC and Napaimute,
44 those organizations both have Partners, their positions
45 are funded through our Partners Program, it's like an
46 internship. Then the other part of it is the Fisheries
47 Resource Monitoring Program and that's where they apply
48 for funding to do research.

49
50

0136

1 ACTING CHAIR NANENG: Follow up
2 question. Most of the fishery monitoring programs are
3 in the in-river systems, yet there's very few out along
4 the Coast where people also harvest fish and salmon and
5 they don't seem to have an opportunity to work on
6 monitoring fisheries other than the test fisheries that
7 some of the villages have been involved with, Fish and
8 Wildlife, or Fish and Game in trying to monitor the
9 fish that are heading to the Yukon River and I think
10 that there should be some opportunities created for
11 those on the Coast, not just for salmon but for other
12 fisheries like halibut, whitefish, tomcods and other
13 fish that they harvest for subsistence purposes.

14
15 So that's just my comment regarding
16 this here.

17
18 Okay, thank you. And we'll go on to
19 the next item, Item G, Joint Meeting North American
20 Workshop.

21
22 MS. ROGERS: It's 6:00 o'clock.

23
24 ACTING CHAIR NANENG: I know, just one
25 more item, if we go through one more item I can say
26 that we almost went through the full page of the
27 agenda.

28
29 (Laughter)

30
31 MS. MCDAVID: This will be quick.

32
33 ACTING CHAIR NANENG: Okay.

34
35 MR. PLANK: Thank you, Mr. Chair.
36 Members of the Council. My name is Tom Plank and I am
37 a Wildlife Biologist with the Office of Subsistence
38 Management. And I am resenting an announcement about a
39 caribou and ungulate conference next year that
40 hopefully will be of interest to Council members. I'll
41 also be seeking your input on a couple matters related
42 to the conference. An informational flyer about the
43 conference can be found in your meeting books on Page
44 223.

45
46 A joint meeting of the North American
47 Caribou Workshop and Arctic Ungulate Conference will be
48 held in Anchorage from May 8th through the 12th of
49 2023. The meeting will bring together an international
50

0137

1 group of managers, researchers and indigenous and local
2 knowledge holders who will want to share their
3 knowledge of caribou, muskoxen, Dall sheep, moose and
4 reindeer. The theme for the meeting is crossing
5 boundaries. Arctic ungulates regularly cross landscape
6 boundaries connecting ecological processes between
7 different systems. This necessitates collaboration
8 across geographical boundaries and also calls for
9 crossing boundaries between Western Science and local
10 and indigenous knowledge. The conference will include
11 preliminary sessions on co-management, the status of
12 caribou globally, integrating Western science with
13 indigenous knowledge and the effects of climate change
14 on caribou. Field trips, workshops, research talks,
15 symposiums and a poster session will also be part of
16 the conference. The conference web address is included
17 on the flier in your meeting books and I encourage you
18 to visit that website, and also for more detailed
19 information about abstract submissions that are due by
20 December 15th, 2022.

21

22 So before I move on to my two topics to
23 discuss are there any questions.

24

25 ACTING CHAIR NANENG: Any questions
26 from the Council members.

27

28 (No comments)

29

30 ACTING CHAIR NANENG: I just want to
31 share you a story that I heard last week. I got a
32 relative of mine that owns reindeer up at Stebbins area
33 and he says that people come around hunting for caribou
34 and occasionally they shoot one of his reindeer that he
35 owns so he's trying to get people to recognize that
36 there's a difference between a reindeer and a caribou
37 but for most of us that have never seen them they all
38 look alike. So I just wanted to share that story and I
39 thank you for your presentation. And with that we'll
40 break for tonight and come back tomorrow morning.

41

42 Yes?

43

44 MS. MCDAVID: I'm sorry, Mr. Chair, I'm
45 ready for dinner too, but we have to.....

46

47 (Laughter)

48

49 MS. MCDAVID: I believe Tom needs the

50

0138

1 Council to do one small action, at least, and that is
2 to potentially choose a member of this Council and an
3 alternate or two to potentially attend this conference
4 next year. Thank you.

5

6 ACTING CHAIR NANENG: Oh, okay.

7

8 MR. PLANK: Also I had a second topic
9 to go over as well.

10

11 ACTING CHAIR NANENG: Okay, go ahead.

12

13 MR. PLANK: Go ahead, thank you, Mr.
14 Chair.

15

16 ACTING CHAIR NANENG: And then address
17 that appointment of Council members to participate in
18 the May conference.

19

20 MR. PLANK: All right. So the first
21 topic is we're asking for input, as a Council, one of
22 the events that will take place during the conference
23 is a facilitated discussion on Alaska State and Federal
24 ungulate management. This session is intended to be a
25 neutral forum for Council members, such as yourselves,
26 State Fish and Game Advisory Committee members, Federal
27 and State agency Staff and other interested parties to
28 discuss ungulate management in Alaska specifically
29 regarding harvest regulations.

30

31 So my question for the Council is, what
32 topics and issues would you like to be discussed during
33 the session and it could be anything of concern related
34 to harvest regulations and ungulate management.

35

36 So, Mr. Chair, now I'll turn the
37 discussion over to you on this topic before I move on
38 to the second topic and your suggestions would be very
39 important in setting the discussion agenda.

40

41 (Pause)

42

43 ACTING CHAIR NANENG: (Inaudible - no
44 mic)

45

46 REPORTER: Turn your mic on.

47

48 ACTING CHAIR NANENG: Oh, sorry about
49 that. I was just having an executive session with our
50

0139

1 elder -- with Phillip here.

2

3 (Laughter)

4

5 ACTING CHAIR NANENG: Talking about
6 moose, caribou with anglers, that's what they call
7 ungulate animals but I know moose is not necessarily
8 that but (In Yup'ik)

9

10 INTERPRETER: When they talk about the
11 caribou during the meeting, he's asking him if he wants
12 to attend.

13

14 ACTING CHAIR NANENG: What about you
15 Jackie.

16

17 MS. CLEVELAND: About what, our
18 suggestions?

19

20 ACTING CHAIR NANENG: Yeah, I'm
21 recommending or asking if you would want to represent
22 the Council.

23

24 MS. CLEVELAND: Maybe.

25

26 ACTING CHAIR NANENG: Yeah.

27

28 MS. CLEVELAND: I'll say yes but it's
29 so far away. Quyana, through the Chair. And, Quyana
30 Chair for (In Yup'ik), I would accept it.

31

32 ACTING CHAIR NANENG: What about you
33 Phillip.

34

35 MR. PETER: Yeah. Yes.

36

37 ACTING CHAIR NANENG: Good. So you got
38 two names already.

39

40 (Laughter)

41

42 ACTING CHAIR NANENG: Okay, let's go on
43 to your next topic.

44

45 MR. PLANK: Thank you, Mr. Chair. That
46 was actually my second topic. A critical component of
47 the conference is making sure that local knowledge
48 holders are able to attend and participate. The Office
49 of Subsistence Management is able to provide financial

50

0140

1 support to send one member of each Subsistence Regional
2 Advisory Council to attend the conference. So we're
3 asking the Council to nominate a member to attend and
4 participate. Again, the conference will be held May
5 8th through the 12th in Anchorage and OSM will cover
6 all expenses such as travel and conference
7 registration. One expectation of the nominated Council
8 member is that they will be an active participant in
9 the State and Federal Ungulate Management Symposium for
10 which you just provided -- you know, for the input.

11

12 So you're going to go with those

13 two.....

14

15 ACTING CHAIR NANENG: Yes.

16

17 MR. PLANK:with Jackie and

18 Phillip.

19

20 ACTING CHAIR NANENG: Yes.

21

22 MR. PLANK: Okay.

23

24 MS. ROGERS: Mr. Chair.

25

26 ACTING CHAIR NANENG: Yes.

27

28 MS. ROGERS: You could write my name

29 down because I'm sending myself over anyway.

30

31 (Pause)

32

33 MS. ROGERS: You could put my name down

34 too, I'm going to send myself over, I'm going to be at

35 your conference.

36

37 ACTING CHAIR NANENG: Okay. Three

38 names. One volunteering and two that's been appointed.

39 So if one of them doesn't make it then the volunteer

40 will.....

41

42 MS. ROGERS: I'll be there.

43

44 ACTING CHAIR NANENG:will be

45 there.

46

47 MS. ROGERS: I'm not missing it.

48

49 (Laughter)

50

0141

1 ACTING CHAIR NANENG: Any other.

2

3

4 MR. PLANK: Unless there's any more
5 questions that concludes the agenda item. Thank you,
6 Mr. Chair and Council and I'm certainly looking forward
7 to it.

8

9 ACTING CHAIR NANENG: Okay, thanks for
10 the report, and the Council members will be there. The
11 appointed ones and the one volunteer.

12

13 With that I think that we're going to
14 start moving along with the agenda faster tomorrow, so
15 we'll take a break for tonight and be back here at 9:00
16 to start over. So we'll probably take care of the
17 faster ones first before we go to the proposals, that
18 might take some time. So if there's no objections from
19 the Council members.

20

21 (No objections)

22

23 ACTING CHAIR NANENG: Okay, with that,
24 thank you very much we'll see you tomorrow morning.

25

26 (Off record)

27

28 (PROCEEDINGS TO BE CONTINUED)

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

0142

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47
48
49
50

C E R T I F I C A T E

UNITED STATES OF AMERICA)
) ss.
STATE OF ALASKA)

I, Salena A. Hile, Notary Public in and for the state of Alaska and reporter for Computer Matrix Court Reporters, LLC, do hereby certify:

THAT the foregoing pages numbered ___ through ___ contain a full, true and correct Transcript of the YUKON KUSKOKWIM DELTA FEDERAL SUBSISTENCE REGIONAL ADVISORY COUNCIL MEETING, VOLUME I taken electronically on the 27th day of October;

THAT the transcript is a true and correct transcript requested to be transcribed and thereafter transcribed by under my direction and reduced to print to the best of our knowledge and ability;

THAT I am not an employee, attorney, or party interested in any way in this action.

DATED at Anchorage, Alaska, this 10th day of December 2022.

Salena A. Hile
Notary Public, State of Alaska
My Commission Expires: 09/16/26